

0001

NUNAVUT IMPACT REVIEW BOARD  
FINAL HEARING CONFERENCE FOR THE JERICO DIAMOND  
PROJECT

JANUARY 5, 2004 VOLUME 1

LOCATION: CAMBRIDGE BAY PUBLIC HALL  
CAMBRIDGE BAY, NUNAVUT

NIRB FILE NO. 00MN059

PANEL:

Elizabeth Copland	Chairperson
Peter Paneak	
Albert Ehaloak	
Martha Akoluk	
Mary Avalak	

BOARD STAFF:

Bill Tilleman, Esq.	Legal Counsel
Stephanie Briscoe	Executive Director
Dionne Filiatrault	Nunavut Water Board
Zainab Moghal	Technical Advisor
Jordan DeGroot	Technical Advisor
Gladys Joudrey	Environmental Assessment Officer

0002

Jorgen Komak	Environmental Assessment Officer
Josie Tucktoo-Lacasse	Interpreter/translator
Mary Hunt	Interpreter/translator
Edna Elias	Interpreter/translator
Henry Ohokanok	Interpreter/translator
COURT REPORTER:	Tara Lutz

0003

# INDEX

	PAGE NUMBER
OPENING REMARKS AND INTRODUCTIONS.....	3:7
PRESENTATION BY TAHERA CORPORATION.....	19:18
DEPARTMENT OF FISHERIES AND OCEANS QUESTIONS TAHERA CORPORATION.....	151:5
BOARD STAFF QUESTIONS TAHERA CORPORATION...	164:16
NATURAL RESOURCES CANADA QUESTIONS TAHERA CORPORATION:.....	213:10
KITIKMEOT INUIT ASSOCIATION QUESTIONS TAHERA CORPORATION:.....	216:11
BOARD STAFF QUESTIONS TAHERA CORPORATION:..	229:23
ADJOURNMENT.....	232:21
REPORTER'S CERTIFICATE.....	233:1

0004

1 (COMMENCED AT 9:05 A.M.)  
2 CHAIRPERSON: Good morning. Before we  
3 start this hearing, I am going to ask Peter Paneak  
4 from our board to say the opening prayer. Can we  
5 please stand up.  
6 (OPENING PRAYER)  
7 OPENING REMARKS AND INTRODUCTIONS:  
8 CHAIRPERSON: On your ear things, number  
9 2 is English, number 4 is Innuinaqtun, 5 Inuktitut.  
10 And if you have any questions, you can see Andrew  
11 and he is in the back.  
12 Good morning, and happy New Year to  
13 everybody. Welcome to the final hearing conference  
14 for the Jericho Diamond Project.  
15 We are sorry about the recent delay in  
16 proceedings for the original hearing dates in  
17 December due to the flu situation in the Kitikmeot  
18 region. We are happy, finally, to begin this  
19 hearing.  
20 My name is Elizabeth Copland. I am the chair  
21 of the Nunavut Impact Review Board, I live in  
22 Arviat. And I have been with Nunavut Impact Review  
23 Board for about just over eight years.  
24 Now, for a brief description of the  
25 application, this is NIRB file number 00MN059. The  
26 project being proposed by Tahera Corporation is for

0005

1 a diamond mine, the Jericho diamond mine located in

2 the Jericho watershed at the north end of Contwoyto  
3 Lake. The goal of the project is to extract the  
4 Jericho kimberlite reserve by way of open pit and  
5 underground mining. Full scale extraction is  
6 expected to be in 2005, with the mine to close and  
7 be reclaimed in 2013.

8 The mine will engage in continued exploration  
9 and development of prospective kimberlite pipes in  
10 the area with the possibility of extending the  
11 operating life of the mine past the eight-year  
12 period currently projected. And the project, while  
13 utilizing some existing infrastructure, will  
14 require the construction of additional elements  
15 associated with mining and production.

16 Okay. And I will introduce the Board members  
17 and Staff. In attendance today are the following  
18 Board members, but please note Peter Akkikungnaq,  
19 our Board member, has declared conflict in  
20 participating in our hearings as he is the mayor of  
21 Gjoa Haven.

22 To my left is Albert Ehaloak.

23 MR. EHALOAK: My name is Albert. I have  
24 been with the Board for a year and a half. I live  
25 here in Cambridge Bay, born and raised. I would  
26 like to welcome everybody to Cambridge.

0006

1 CHAIRPERSON: And to my right is Mary  
2 Avalak.

3 MS. AVALAK: I'm Mary Avalak. I am a  
4 Board member for Nunavut Impact Review Board. I  
5 like my job as a Board member, and I would --  
6 representing the Kitikmeot.

7 CHAIRPERSON: And Martha Akoluk.

8 MS. AKOLUK: Good morning, and happy New  
9 Year. Martha Akoluk from Bathurst Inlet. I have  
10 been with the Nunavut Impact Review Board for three  
11 years now, and thank you. Welcome.

12 CHAIRPERSON: Peter Paneak.

13 MR. PANEAK: Happy New Year, and  
14 welcome. I got this membership in the last two  
15 years. I am very dedicated to my job as one of the  
16 Board members. And also my colleagues, my  
17 fellowship I work with, I thoroughly enjoy working  
18 with them. Thank you for having me here.

19 CHAIRPERSON: And we also had a board  
20 member Zack Novalinga from Sanikiluaq, he was just  
21 appointed in December, but the Nunavut Impact  
22 Review Board received unfortunate news in December  
23 that Zack died during surgery in Winnipeg.

24 And Nunavut Impact Review Board staff members  
25 are Stephanie Briscoe, our executive director; Mr.  
26 Bill Tilleman, legal counsel; Zainab Moghal,

0007

1 technical advisor; Jordan DeGroot our technical  
2 advisor; Gladys Joudrey, environmental assessment

3 officer, Jorgen Komak, environmental assessment  
4 officer; Josie Tucktoo-Lacasse,  
5 interpreter/translator; Mary Hunt,  
6 interpreter/translator; Edna Elias, is she here  
7 this morning? No. Henry Ohokanoak,  
8 interpreter/translator, and Tara Lutz, our  
9 stenographer.  
10 MS. BRISCOE: We would like to recognize  
11 James Panioyak as well who is filling in for Edna  
12 who is weathered out in Kugluktuk.  
13 CHAIRPERSON: Good morning.  
14 Official transcripts of the hearing will be  
15 prepared for Board use only.  
16 I would like to make a special introduction  
17 of Dionne Filiatrault, who is the senior technical  
18 advisor for the Nunavut Water Board, Filiatrault,  
19 sorry. And Dave, who is a technical advisor to the  
20 Nunavut Water Board. Dionne will be here to ask  
21 questions in relation to the Water Board mandate  
22 issues, not to gather evidence, but to coordinate  
23 with NIRB to make its decision better.  
24 Our method of advertising, the Nunavut Land  
25 Claims Agreement states that Nunavut Impact Review  
26 Board shall take all necessary steps by way of

0008

1 notice, release of information and scheduling and  
2 location of hearings to provide and to promote  
3 public awareness of and participation of hearings.  
4 We have tried to do that in the Jericho case by  
5 notifying all of you by writing and by public  
6 advertisement of this final hearing conference.  
7 A copy of the correspondence between NIRB,  
8 the proponent and parties in what we call a public  
9 registry is available at the back table and also  
10 available at our NIRB office in Cambridge Bay.  
11 Please see Gladys at the back table or Zainab at  
12 the NIRB office.  
13 We are here to conduct this meeting under the  
14 authority of the Nunavut Land Claims Agreement,  
15 Article 12, Part 5. Briefly the Nunavut Impact  
16 Review Board works to do impact assessment, and its  
17 primary objective is to protect and promote the  
18 existing and the future well-being of the residents  
19 and communities of the Nunavut settlement area and  
20 to protect the ecosystemic integrity of the Nunavut  
21 settlement area.  
22 To summarize Article 12, Nunavut Impact  
23 Review Board's mandate is to use both traditional  
24 knowledge and recognized scientific methods in an  
25 ecosystemic -- ecosystem analysis to access on a  
26 site-specific and regional basis the environmental,

0009

1 cultural and socioeconomic impacts of those  
2 proposals for which it has responsibility.  
3 The Nunavut Impact Review Board's steps to

4 date for the Jericho Diamond Project: On November  
5 2, 2000, the Nunavut Impact Review Board determined  
6 that the Jericho Diamond Project proposal was  
7 insufficiently developed to determine proper  
8 screening and should be returned to the proponent  
9 for clarification. On April 5, 2000, the  
10 conformity analysis and final EIS guidelines were  
11 released by NIRB. On January 12, 2001, Tahera  
12 Corporation submitted the draft EIS. On February  
13 7, 2001, the Board advised Minister Robert Nault  
14 that the Jericho Diamond Project required review  
15 under Part 5 or 6 of the Nunavut Land Claims  
16 Agreement. And in reply on March 14, 2001,  
17 Minister Nault agreed to refer the project to NIRB  
18 for a Part 5 review.

19 Nunavut Impact Review Board then held public  
20 pre-hearings in Cambridge Bay, Kugluktuk and Gjoa  
21 Haven in June of 2001. Tahera Corporation  
22 submitted the final Environmental Impact Statement  
23 in January 21st, 2003. Final public hearings were  
24 initially scheduled from May 26th-30 but were  
25 postponed due to numerous requests for additional  
26 information.

0010

1 Final public hearings were then rescheduled  
2 from December 1 until 5, 2003, but were postponed  
3 due to flu epidemic in the Kitikmeot region. And  
4 final public hearings have now been scheduled for  
5 this week, January 5 to 9, 2004, and were -- and  
6 will occur in Kugluktuk, Cambridge Bay and Gjoa  
7 Haven.

8 There were certain matters that the Nunavut  
9 Impact Review Board have paid special attention to,  
10 and we highlighted this in the November 14, 2003  
11 letter.

12 First, we asked that all documents be  
13 translated for the upcoming hearing. Second,  
14 please share all written submissions with other  
15 parties, this is not the responsibility of the  
16 Nunavut Impact Review Board. Finally, where NIRB  
17 makes information requests of parties, and, in  
18 particular, the proponent, as it will do after this  
19 hearing conference, make sure you provide all  
20 information that you can.

21 Nunavut Impact Review Board matters to be  
22 considered at today's review are as per Article  
23 12.5.5 of the Nunavut Land Claims Agreement. If  
24 you have any questions regarding this section,  
25 please ask the staff who can direct you to the  
26 Nunavut Land Claims Agreement.

0011

1 For our roll call, please, if you can  
2 introduce yourself, and if you have any witnesses.  
3 The Tahera Corporation.

4 MR. MISSAL: Madam Chair, we are here in

5 front of you this morning, and we have a number of  
6 consultants with us today. I will go into greater  
7 detail introducing the consultants during my  
8 presentation, if that's satisfactory to you.  
9 CHAIRPERSON: Thank you. The Kitikmeot  
10 Inuit Association.  
11 MR. DONIHEE: Good morning, Madam Chair.  
12 My name is John Donihee. I am counsel for the  
13 Kitikmeot Inuit Association. Mr. Charlie Evalik,  
14 the president, will join me shortly, and time  
15 dependent and weather dependant, we hope perhaps to  
16 have Jack Kaniak and Geoff Clark from the Kitikmeot  
17 Inuit Association lands department with us as well.  
18 Thank you.  
19 CHAIRPERSON: The Nunavut Tunngavik  
20 Incorporated --  
21 MR. INTULUK: Thank you. Please feel  
22 welcome to Cambridge Bay. I thank you, everyone,  
23 ladies and gentlemen. I'm James Intuluk, I'm the  
24 vice-president for NTRA, first vice-president of  
25 NTRA. And here with me is Stefan Lopatka, he is  
26 the senior advisor for NTRA for water-related and

0012

1 land, environmental water and marine management.  
2 And George Hakongak is also here, environmental  
3 coordinator, who will be doing the presentation on  
4 behalf of NTRA.  
5 NTRA is the main Inuit organization that  
6 represents all Inuit in Nunavut on land claim  
7 issues.  
8 CHAIRPERSON: James?  
9 MR. INTULUK: Their interests --  
10 CHAIRPERSON: Can you just please stick  
11 to who is here?  
12 MR. INTULUK: Like I said, Stefan  
13 Lopatka, our senior advisor, and George Hakongak  
14 will be doing presentations on behalf of NTRA.  
15 Thank you.  
16 CHAIRPERSON: Government of Nunavut? Go  
17 ahead.  
18 MS. MOGHAL: I think there will be a  
19 representative here on Wednesday from them.  
20 CHAIRPERSON: Okay. I have got the wrong  
21 piece of paper then. Sorry about that.  
22 Department of Fisheries and Oceans?  
23 MS. CRITCH: Good morning, Madam Chair.  
24 My name is Stephanie Critch, and I am a habitat  
25 biologist with DFO. And with me is Julie Dahl,  
26 fish habitat chief in -- from Yellowknife. And

0013

1 Julie Dahl will be doing the presentation for DFO.  
2 CHAIRPERSON: Thank you. Heath Canada?  
3 Anybody from Health Canada? Not yet. Department  
4 of Indian and Northern Affairs?  
5 MR. TRAYNOR: Thank you, Madam Chair. My

6 name is Stephen Traynor. I'm currently the active  
7 regional director for Indian and Northern Affairs  
8 in the Nunavut regional office. With me today from  
9 our office in Iqaluit is Robyn Abernethy-Gillis,  
10 Carl McLean, Paul Partridge, Norm Cavanagh, is our  
11 legal counsel. And with us also are some  
12 consultants who will assist us making our  
13 presentation to the Board. We have Ben Wheeler,  
14 Eric Denholm, Holger Hartmaier and Dale Osmond.  
15 And we will identify those further when we prepare  
16 our intervention. Thank you.  
17 CHAIRPERSON: Okay. Environment Canada?  
18 Not yet. Natural Resources Canada?  
19 MR. DYKE: Thank you, Madam Chair. My  
20 name is Larry Dyke. I represent Natural Resources  
21 Canada. And if I get a chance to, I will be making  
22 a presentation on behalf of the Geological Survey  
23 and the Canada Centre for Mining Technology. Thank  
24 you.  
25 CHAIRPERSON: The Yellowknife Dene First  
26 Nations? Not here yet. And local hamlet, anybody

0014

1 from the hamlet council of Cambridge Bay? Any  
2 citizens from Cambridge Bay, Kugluktuk or Gjoa  
3 Haven? Not this morning.  
4 I'll just read out the procedure for the  
5 hearing. I would like to outline the procedures  
6 for today's hearing. At today's hearing we wish to  
7 stress the principle of flexibility in our  
8 proceedings. In our procedure, Section 12.2.24 of  
9 the Nunavut Land Claims Agreement allows us to do  
10 this while giving due weight to Inuit communication  
11 and decision making.  
12 In general, the Board's procedure for this  
13 hearing is the applicant, Tahera, presents its  
14 material, first focussing, of course, on the  
15 environmental impact statement. We should point  
16 out the evidence will be sworn or affirmed. Our  
17 counsel, Mr. Tilleman, will assist the Board in  
18 this regard. Then anyone with questions will have  
19 a chance to ask-- to ask Tahera those questions  
20 after they make their presentation. The Board  
21 Staff may ask questions, and, finally, the Board  
22 itself may ask questions. Intervenors will have a  
23 chance to present their case, and Tahera may ask  
24 questions. As before, it is only the Staff and the  
25 Board.  
26 And when we have elders in our hearings, they

0015

1 can speak up at any time. At the end of the  
2 hearings, all parties will have a chance to make  
3 closing remarks. First the elders will make their  
4 comment, second the citizens, and/or intervenors  
5 and then Tahera.  
6 And after Gjoa Haven, I believe Gjoa Haven is

7 Friday. After Gjoa Haven, I will close the  
8 hearings and we will send the Board's report to the  
9 Minister as per Section 12.5.6 of the agreement.  
10 Essentially we will inform the Minister the our  
11 assessment of the project and its impacts. We will  
12 also determine whether or not it should proceed,  
13 and if so, under what terms and conditions  
14 reflecting our ecosystem and other land claims  
15 objectives as stated previously.

16 As far as timing is concerned, the Board  
17 hopes to send its report and recommendations within  
18 30 days of the close of the hearing in Gjoa Haven.

19 Upon receipt of the Nunavut Impact Review  
20 Board report, the Minister has various options, and  
21 these are found in Section 12.5.7 of the Nunavut  
22 Land Claims Agreement. What this means is that the  
23 final decision is for the Minister of the Nunavut  
24 Land Claims or the INAC to make.

25 Please keep your comments to 30 minutes or  
26 less, though we will give more time for the

0016

1 proponent. Remember, we have read all of your file  
2 statements, so do not repeat yourself except to  
3 summarize. If the Board determines the project  
4 shall proceed, the Nunavut Impact Review Board will  
5 recommend terms and conditions reflecting our  
6 objectives under the land claim. Parties, if you  
7 wish -- if they wish, can offer comments on the  
8 proposed terms and conditions, but this should be  
9 done during the week's hearing.

10 And now we can begin with Tahera. Excuse me,  
11 before you begin, Bill?

12 MR. TILLEMANN: Well, it is just simply a  
13 matter of swearing in the panel, so do you want to  
14 introduce your panel, Greg, and at that point I  
15 will swear everybody in?

16 MR. MISSAL: Thank you very much, Madam  
17 Chair and Board members. My name is Greg Missal.  
18 I am the vice-president of the Nunavut affairs with  
19 Tahera Corporation. On behalf of Tahera  
20 Corporation, I would like to say that we are very  
21 pleased to be here today presenting our material to  
22 you, and we are very appreciative of the Board  
23 organizing this event. It is a lot of the work for  
24 not only you, the Board members, but also for the  
25 NIRB staff, and Tahera realizes that, and we do  
26 appreciate it.

0017

1 We also appreciate those in attendance today  
2 who are sitting behind me, that they were able to  
3 make their time available and also at their cost in  
4 getting here. If it wasn't for the participation  
5 of all these groups, obviously meetings like this  
6 could not happen and could not be successful.

7 I would just like to very briefly go through



8 the people who Tahera has with us here today. I  
9 would like to start off -- maybe I will just get  
10 you to wave quickly. I would like to start off  
11 with Andrew Gottwald, he is our vice-president of  
12 finance and chief financial officer. Letha  
13 MacLachlan is Tahera's legal counsel.  
14 We then have Pete McCreath, who is a  
15 consultant on water matters. Kelly Sexsmith is at  
16 the end of the table, she is also a consultant on  
17 water quality. At the back against the wall is Cam  
18 Scott, who is also a consultant with SRK consulting  
19 on geotechnical issues. We then have Bob  
20 Humphries, who is also a consultant on air quality,  
21 Court Smith, who is with Nuna Logistics who has --  
22 Nuna Logistics has provided a great deal of  
23 information to Tahera to help us build our  
24 feasibility study and our final environmental  
25 impact statement.  
26 Then we have Robert Hornal. Robert Hornal is

0018

1 our consultant for socioeconomic. Rick Pattenden  
2 is our consultant on aquatics. Bruce Ott, Bruce  
3 covers a wide variety of areas, including some  
4 water, vegetation and monitoring issues. Then we  
5 have Ben Hubert, who is our wildlife consultant.  
6 And last, but certainly not least is Andre  
7 Sobolewski, who is our consultant on land  
8 treatment. Thank you, Bill.  
9 MR. TILLEMEN: Please state your name for  
10 the record and spell your last name.  
11 MR. MISSAL: Gregory Missal,  
12 M-I-S-S-A-L.  
13 (GREGORY MISSAL SWORN)  
14 MR. TILLEMEN: Please state your name and  
15 spell your last name for the record.  
16 MS. SEXSMITH: Kelly Sexsmith.  
17 S-E-X-S-M-I-T-H.  
18 (KELLY SEXSMITH SWORN)  
19 MR. TILLEMEN: Please state your name and  
20 spell your last name for the record.  
21 MR. McCREATH: Peter McCreath,  
22 M-C-C-R-E-A-T-H.  
23 (PETER McCREATH SWORN)  
24 MR. TILLEMEN: Please state your name for  
25 the record and please spell your last name.  
26 MR. GOTTWALD: Andrew Gottwald,

0019

1 G-O-T-T-W-A-L-D.  
2 (ANDREW GOTTWALD SWORN)  
3 MR. TILLEMEN: Please state your name for  
4 the record and spell your last name.  
5 MR. SCOTT: Cam Scott, S-C-O-T-T  
6 (CAM SCOTT SWORN)  
7 MR. TILLEMEN: Please state your name for  
8 the record and spell your last name.

9 MR. HUMPHRIES: Bob Humphries,  
10 H-U-M-P-H-R-I-E-S.  
11 (BOB HUMPHRIES SWORN)  
12 MR. TILLEMAN: State your name for the  
13 record and spell your last name.  
14 MR. SMITH: Court Smith, S-M-I-T-H.  
15 (COURT SMITH SWORN)  
16 MR. TILLEMAN: State your name for the  
17 record and spell your last name.  
18 MR. HORNAL: Robert Hornal, H-O-R-N-A-L.  
19 (ROBERT HORNAL SWORN)  
20 MR. TILLEMAN: State your name and spell  
21 your last name for the record, please.  
22 MR. PATTENDEN: Rick Pattenden,  
23 P-A-T-T-E-N-D-E-N.  
24 (RICK PATTENDEN SWORN)  
25 MR. TILLEMAN: Please state your name and  
26 spell your last name for the record.

0020

1 MR. OTT: Bruce Ott, O-T-T.  
2 (BRUCE OTT SWORN)  
3 MR. TILLEMAN: Please state your name for  
4 the record and spell your last name.  
5 MR. HUBERT: Ben Hubert, H-U-B-E-R-T.  
6 (BEN HUBERT AFFIRMED)  
7 MR. TILLEMAN: Please state your name and  
8 spell your last name for the record.  
9 MR. SOBOLEWSKI: Andre Sobolewski,  
10 S-O-B-O-L-E-W-S-K-I.  
11 (ANDRE SOBOLEWSKI SWORN)  
12 CHAIRPERSON: What about their legal  
13 counsel?  
14 MR. TILLEMAN: They don't give evidence.  
15 Of all the things they do, that's one thing they  
16 don't.  
17 CHAIRPERSON: I didn't know that. Greg?  
18 PRESENTATION BY TAHERA CORPORATION:  
19 MR. MISSAL: Thank you, Madam Chair.  
20 I'm going to give you a presentation today,  
21 this is the beginning part or the instruction of  
22 the presentation which gives some background  
23 information on the project. I'm going to touch  
24 very briefly on the company. I will keep that  
25 brief though. And then as we move through the  
26 presentation, and it is quite a long presentation,

0021

1 so I would just ask everyone to bear with us. It  
2 is probably going to take somewhere in the  
3 neighbourhood of three, to three and a half hours  
4 to do this, but of course we will break it up into  
5 pieces as we see fit or as you see fit. And then,  
6 of course, the consultants will run through each of  
7 their individual areas and talk about their areas  
8 of expertise, and then I will come back at the end  
9 of that, again, and give a conclusion on this

10 presentation.  
11 When we were preparing this presentation, we  
12 got thinking about the long process that exists in  
13 getting a mining project such as this built and up  
14 and running, and I thought that these were some  
15 real key words that keep -- kept popping to mind.  
16 It takes some vision and perseverance I think in  
17 the mining business to spend the dollars and do the  
18 work in order to find deposits such as Jericho.  
19 I think that we need the cooperation in a  
20 process like this process, the NIRB process, and as  
21 well as all the other groups that are here  
22 represented today and even some groups that aren't  
23 able to join us just get, but the cooperation is  
24 needed. In conjunction with cooperation, of  
25 course, is the dedication that's required by each  
26 and every party involved in this process, and I

0022

1 think we have seen that to this date, and, of  
2 course, commitment in seeing that part through.  
3 At the end of all that, we get success, and I  
4 think success in terms of the Jericho project is  
5 having this project developed and having it benefit  
6 the region, and that is certainly our goal.  
7 As I said, we will -- I'll give an  
8 introduction, overview of the project. Our  
9 consultants will speak to their individual areas.  
10 Other information that's available today, as you  
11 look around the room, are the posters that are up  
12 on the walls for people to see. As well, we have  
13 brought along a copy of our final Environmental  
14 Impact Statement and the supplementary information  
15 that's available at the end of our table there.  
16 And, of course, at any point, at the  
17 appropriate time, I should say, we are free to  
18 address any questions that anyone might have.  
19 In terms of Tahera itself, I just wanted to  
20 make a few brief points about the company. We are  
21 a publicly traded company on the Toronto Stock  
22 Exchange. The company, itself, has been involved  
23 in diamond exploration in the north dating back to  
24 the early 1990s. And our work, our exploration  
25 work has produced numerous kimberlite discoveries  
26 in the area; however, the Jericho deposit is the

0023

1 most economic of any of the discoveries we have  
2 made to date.  
3 In terms of what our vision is, we will be  
4 developing -- we intend to develop the Jericho  
5 Diamond Projects for purposes of extracting  
6 commercially saleable diamonds. We are developing  
7 Tahera's very first mining project, but we are  
8 doing it with the experience of mine builders,  
9 experienced mine builders, and those are such  
10 people as Nuna Logistics, SRK is our engineering

11 consultants, and DRA, who are a diamond plant  
12 builders, processing plant builders.  
13 We will, and we hope to utilize as much local  
14 labour and services as possible for this project.  
15 We have achieved an agreement in principle  
16 for an Inuit Impact Benefit Agreement with the  
17 Kitikmeot Inuit Association. The KIA will be  
18 giving a presentation later on, I believe today or  
19 perhaps tomorrow. And I am sure they will be  
20 touching on this, and we will be touching on it  
21 more throughout our presentation. And we will  
22 develop the Jericho project with minimal impact to  
23 the environment.  
24 This map on the left just gives you a general  
25 idea, I'm sure everyone here today knows exactly  
26 where they are at, but there we are in the heart of

0024

1 one of the most geologically perspective areas in  
2 North America, and that's the Slave craton.  
3 On a regional basis, the Jericho project is  
4 located right here with the green diamond. We are  
5 about 200 kilometres southwest of Bathurst Inlet or  
6 220 kilometres southeast of Kugluktuk. The project  
7 is about 150 kilometres north of the Diavik and  
8 Ekati projects in the Northwest Territories.  
9 In terms of the project itself, what we are  
10 proposing is an eight-year mine life for the  
11 Jericho kimberlite. We would be producing or  
12 processing 300,000 tonnes of kimberlite each year.  
13 Each tonne of that kimberlite will create 1.2  
14 carats per tonne of diamonds, and over those eight  
15 years, we will be extracting in excess of 3 million  
16 carats of commercially saleable diamonds.  
17 The open-pit mining will be done over a  
18 four-year period, and the underground mining in two  
19 years, and processing of the kimberlite that will  
20 be removed will be done over the full eight years.  
21 In terms of this project itself, the  
22 properties that the kimberlite lie on were  
23 originally acquired in 1992. The kimberlite was  
24 discovered in 1995. We did extensive testing on  
25 the Jericho kimberlite in 1996 and '97. '99, a  
26 prefeasibility study was done. In 2000, the

0025

1 feasibility study was completed. 2001 was when we  
2 worked on completing our draft EIS, and in 2003,  
3 the final EIS is submitted. It is a long process  
4 to get to the point where we are today, and we are  
5 proud of that.  
6 In terms of developing the Environmental  
7 Impact Statement, which are the documents that are  
8 on the table to your left, in the black volumes  
9 there, I believe there are six volumes in total, I  
10 believe, that were submitted in January. The draft  
11 EIS was written based on NIRB guidelines, and as

12 well, NIRB's consultants provided a conformity  
13 analysis.  
14 The final EIS was completed to confirm with  
15 those two components. Additional consideration was  
16 given to certain CEAA requirements prior to  
17 finalizing the EIS. Information requests were  
18 received in April and May, as was pointed out  
19 earlier. And in order to address those information  
20 requests, we put together supplementary  
21 information, which are the three white volumes you  
22 see on the table to your left, and that was  
23 submitted in October of this -- of 2003.  
24 When we produced the EIS and the  
25 supplementary information, we were keeping in mind  
26 Section 12.5.5 of the Land Claim Agreement. And we

0026

1 believe that we have satisfied these points in  
2 12.5.5, and I just want to very briefly go through  
3 these points. Point (A) whether the project would  
4 enhance and protect existing well-being of  
5 residents and communities of the Nunavut settlement  
6 area taking into account the interests of other  
7 Canadians; (B) whether the project would unduly  
8 prejudice the ecosystemic integrity of the Nunavut  
9 settlement area; (C) whether the proposal reflects  
10 the priorities and values of the residents of the  
11 Nunavut settlement area; (D) steps which the  
12 proponent proposes to take to avoid and mitigate  
13 adverse impacts; (E) steps the proponent proposes  
14 to take or that should be taken to compensate  
15 interests adversely affected by the project; (F)  
16 the posting of performance bonds; (G) the  
17 monitoring program that the proponent proposes to  
18 establish or that should be established for  
19 ecosystemic and socioeconomic impacts, and steps  
20 which the proponent proposes to take or that should  
21 be taken to restore ecosystemic integrity following  
22 the project abandonment.

23 And I believe as you have read through the  
24 documents and as you listen to our presentation  
25 today, we believe that you will find that we have  
26 addressed each of these points.

0027

1 I now want to go through some of the site  
2 infrastructure. On the right-hand side, it is a  
3 little difficult to see, but that is a topographic  
4 map which we will leave posted throughout the  
5 presentation so that anyone can refer to any  
6 particular area of the site. But that map shows  
7 what we propose the mine site will look like with  
8 all its components. I will show that more clearly  
9 in some of my other slides that I will be putting  
10 up shortly.

11 This is the site as it exists today. We have  
12 a kilometre long airstrip at the site, we have an

13 exploration camp there. We have about three and a  
14 half kilometres of road networks that exist, and we  
15 also have an area where the bulk sample was  
16 extracted, which we call the portal site. This is  
17 a picture of the existing camp that's in place  
18 today. That camp would be taken out eventually as  
19 the mine site is developed. The portal location,  
20 which is where the bulk sample was taken in 1997.  
21 And this is a little clearer picture or a better  
22 illustration of the map that you see on the  
23 right-hand side, but that shows the essential areas  
24 of the site. And I would just like to stop here  
25 for a second and just go through them just so  
26 everybody understands what each component is.

0028

1 Right in the centre of the picture is the  
2 kimberlite pipe where the open pit will be  
3 developed. That open pit is going to be  
4 approximately 500 metres by 600 metres at the  
5 surface, so it is a fairly large pit. The  
6 infrastructure, the buildings that are going to  
7 exist will be in this area right here, which will  
8 be a fuel tank farm, and then over here will be a  
9 processing plant, the diamond processing plant.  
10 And here beside it, connected by an all weather  
11 tunnel, would be an accommodations facility, which  
12 would be where any of the workers would be staying,  
13 and we would have the offices located at that place  
14 as well.

15 These piles of rock that you see will take  
16 forms at different -- different forms at different  
17 stages throughout the mine life. A couple of them  
18 will stay in place permanently, because that's  
19 actually the waste rock that we are removing and  
20 mounding as we extract it. But as we extract that  
21 rock, we are going to be placing it in almost a  
22 permanent position, we'll be aware to slope the  
23 sides of those piles to make sure that it is safe,  
24 and we will also be dressing the top of those piles  
25 with some smaller material so that there is no big  
26 holes or big rock holes in that pile over time.

0029

1 Some of these ore piles that you see, of  
2 course, the ore will be taken out of the pit, it  
3 will be trucked out, and it will be put into these  
4 ore piles, and then the ore pile will then be fed  
5 into the processing plant. After they leave the  
6 processing plant, then, of course, they go over to  
7 coarse tailings stockpile, which is located here.

8 These two piles, the waste rock one, or dump  
9 site 2 and dump site 1, those are permanent piles.  
10 And, of course, we will be doing detailed  
11 engineering on all of these sites prior to any  
12 construction beginning.

13 I should also mention that this lake at the

14 bottom here is what we call Long Lake, and that's  
15 the lake that will be used for our process  
16 kimberlite containment area, which will be talked  
17 about more as we move through the presentation.  
18 If I can get -- if I can just draw your  
19 attention to the map on the right, there is a road  
20 that will be built from the site going over to  
21 Contwoyto Lake, which is about 3.5 kilometres from  
22 the Jericho site. From Contwoyto Lake, we are able  
23 to link into the winter road that is built annually  
24 from Yellowknife travelling north, and that would  
25 be our means for transporting supplies and fuels up  
26 to this site.

0030

1 We would require to transport approximately  
2 400 loads of supplies and fuels up to this site  
3 prior to any construction beginning. This is just  
4 a side view of what the pit would look like.  
5 Pardon me. This is an animation, a little cartoon,  
6 if you will, of what we propose that the project  
7 will look like. I will comment as we move through  
8 it. This shows you approximately what exists at  
9 the site today, the airstrip, the exploration camp,  
10 as well as the portal areas which was where the  
11 bulk sample was taken and which is where the  
12 kimberlite is located, which you will see here.  
13 Now, that's the kimberlite body that we want  
14 to mine. And it is primarily the green area that  
15 we are focussed on. That's the richest area of  
16 that kimberlite. This just moved around, and it  
17 starts to show what the site will look like as we  
18 have the mine located there. As I mentioned,  
19 that's Long Lake, and then the mine facilities, the  
20 accommodations, processing plant, the fuel farm.  
21 And then this is showing the areas where we will be  
22 placing some of the rock piles.  
23 So the open pit will require approximately  
24 four years to develop. It will be approximately  
25 175 metres deep, at which time we would start doing  
26 two years of underground mining. This shows now

0031

1 how the underground will be mined. We will build  
2 this spiral ramp down to get that underground  
3 portion of the kimberlite out. So, of course, when  
4 we finish mining, then comes the reclamation stage.  
5 During this period, a number of the piles will be  
6 used up and the ore that will be processed. Over  
7 time, the open pit will be allowed to fill with  
8 water. The roads will be reclaimed as much as  
9 possible. As I mentioned, we will be removing the  
10 exploration camp that exists there today, and we  
11 would look for advice later on as far as what to do  
12 with the airstrip, but there may be some interest  
13 to leave the airstrip there for future safety  
14 landing purposes, but we would certainly work with

15 various groups on deciding that.  
16 But that basically gives you a very quick  
17 look at what that looks like. I don't know, does  
18 anybody -- would you like to see that again, or is  
19 that fine?  
20 CHAIRPERSON: I think we are fine.  
21 MR. MISSAL: Okay. Of course, going on  
22 at the same time as all of the exploration and  
23 geological work that we are doing in order to  
24 discover and develop a project like this, we are  
25 also aware to begin starting our baseline  
26 environmental studies, and that's really the

0032

1 building blocks that puts together all the  
2 information that we have today to present to you.  
3 The baseline studies for the project started in  
4 1995.  
5 Pardon me, I just need to forward this ahead  
6 here.  
7 Here is a picture of some baseline studies  
8 going on. This is actually Barb Adjun from  
9 Kugluktuk doing some work for us.  
10 There is a lot of information on this page,  
11 but what I would like to emphasize with it is the  
12 large amount of baseline information that has been  
13 collected over the years. And, of course, it  
14 focuses on a number of different areas, water  
15 quality, water chemistry, you know, vegetation,  
16 fisheries, wildlife, hydrology, meteorology. All  
17 of the disciplines of all of the consultants that  
18 we have here today have been covered off in these  
19 baseline studies which have been ongoing since  
20 1995.  
21 That's just one more picture of some work  
22 that was going on at the site.  
23 Another important component of developing a  
24 project like this, of course, is traditional  
25 knowledge. We have been fortunate enough to  
26 organize two elders' visits to the mine site over

0033

1 the years. I believe this one was taken in 1999,  
2 and it really gave a good opportunity to bring  
3 everyone together. It allowed the elders to see  
4 the site, they had an opportunity to discuss any  
5 concerns they had. It brought elders together from  
6 different communities. It was an opportunity for  
7 elders to view some archeological work and some  
8 heritage resources work that was going on at the  
9 time. And I think what we found at the end of  
10 those two visits was that the traditional knowledge  
11 that the elders provided actually confirmed and  
12 complemented some of the scientific data for the  
13 area as well.  
14 Of course, in conjunction with this type of  
15 traditional knowledge work, we have been quite



16 committed to ongoing community consultations,  
17 focussing on the communities of Kugluktuk,  
18 Cambridge Bay, Gjoa Haven. We have also been to  
19 Bathurst Inlet and Bay Chimo as well. On a few  
20 occasions we have also been to the communities of  
21 Pelly Bay and Taloyoak as well. But it has  
22 primarily been the west Kitikmeot communities that  
23 we have visited as they are the closest ones  
24 located close to our proposed mine site.  
25 And I think each and every time we have our  
26 community meetings, we gain new and valuable

0034

1 information from that, and it gives us, I think, a  
2 greater appreciation of Inuit culture and values.  
3 And, of course, all of those things can be used to  
4 help us develop what our plans are and what our  
5 thinking is. And in that way, traditional  
6 knowledge has helped us develop our site in  
7 consideration of some of the migration routes which  
8 Ben Hubert will talk about in his presentation  
9 today. The management plans that we have been  
10 affected by Inuit culture.  
11 During mine site operation, we will be giving  
12 right-of-way to any caribou migration on the roads.  
13 Specialized diversions to minimize impacts on What kind of  
diversions?  
14 migrations will also be developed, and, of course,  
15 monitoring committees that are in place will help What  
monitoring committees?  
16 ensure that traditional knowledge and traditional  
17 Inuit values are upheld throughout the life of the  
18 mine.  
19 In addition to those items, we can also gain  
20 knowledge on traditional knowledge from the  
21 Kitikmeot Traditional Knowledge Study which is  
22 being worked on by a number of industry groups as  
23 well as the KIA.  
24 The ongoing community meetings help us gain  
25 knowledge on traditional values, and, of course,  
26 the Inuit Impact Benefit Agreement, through the

0035

1 implementation and monitoring committees of the  
2 IIBA will also help to ensure that traditional  
3 knowledge is upheld. And, of course, information  
4 and knowledge that can be gained from other mining  
5 companies is also very important to us.  
6 Another important study that we have done is,  
7 of course, the heritage studies at the mine site.  
8 Fedirchuk, McCullough & Associates have done that  
9 work for us. They are not here with us today, but  
10 we used them to identify and evaluate heritage  
11 resources at the Jericho site that might be  
12 disturbed or destroyed by the project development.  
13 And in summary, there was one artifact of  
14 scientific and cultural interest that was

15 identified, and that was an arrowhead. And there  
16 was a controlled excavation of that arrowhead done,  
17 and I believe that arrowhead went to the Prince of  
18 Wales Museum, isn't it, Bruce?  
19 MR. OTT: Pending setting up off  
20 site.  
21 MR. MISSAL: That's right. What Bruce  
22 mentioned was of course once a Nunavut location has  
23 been determined and set up, then, of course, any  
24 Nunavut artifacts would go to that Nunavut  
25 location. But this was something that the Inuit  
26 elders also had an opportunity to see while they

0036

1 were at the site.  
2 In terms of our team, I'm pretty much to the  
3 end of my presentation, and we are going to move  
4 through each of the consultant's areas, but I just  
5 wanted to mention that various areas that you will  
6 be hearing about through their presentations, which  
7 are some of the geotechnical issues related to the  
8 project, the water quality and water-related  
9 issues, vegetation and water discharge, water and  
10 land treatment, aquatics, air quality, wildlife,  
11 abandonment and reclamation and socioeconomics. So  
12 over the course of the next couple hours, you will  
13 hear from these various consultants on these  
14 topics.  
15 So with that, my portion is completed. Are  
16 you fine to move on to the next set of  
17 presentations?  
18 CHAIRPERSON: Yes, we can move on to one  
19 presentation before our coffee break.  
20 MR. MISSAL: Okay. I will just take a  
21 brief minute and introduce Cam to the Board. Cam  
22 is a principal with SRK Consulting in Vancouver.  
23 He has over 25 years of experience in geotechnical  
24 engineering, most of which has involved mine waste  
25 management. He has extensive experience with mines  
26 in cold weather climates, and he is currently

0037

1 involved with projects in the Northwest  
2 Territories, the Yukon and Alaska. With that I  
3 will turn the mic over to Cam.  
4 MR. SCOTT: Thanks, Greg, Madam  
5 Chairman.  
6 On this portion of the presentation we will  
7 be talking about mine waste management. What we  
8 will cover is an overview of the mine waste  
9 materials, their volumes and some of their  
10 characteristics very briefly. We will talk about  
11 the waste dumps and stockpiles associated with the  
12 project, including some of the layouts, some of the  
13 adjustments of those layouts as well, foundation  
14 conditions, a particular design section for all of  
15 the dumps and stockpiles and some comments of

16 construction methodology as it relates to  
17 mitigating environmental impacts.  
18 Next we will talk about the process  
19 kimberlite containment area and, again, layout  
20 foundation conditions, typical design section and  
21 very brief comments on construction methodology.  
22 Next we will just touch very briefly on hazardous  
23 materials, and lastly we will just have the summary  
24 highlights of this presentation.  
25 The mine-waste materials consists of the  
26 materials listed in the left column, the

0038

1 approximate life of mine tonnages are indicated in  
2 the right column. So the first one, the  
3 overburdened soils are, of course, the materials  
4 excavated during the initial open-pit development,  
5 the waste rock, which largely comprises the  
6 material perimeter of the kimberlite pipe, and then  
7 the materials below those are essentially all  
8 kimberlite materials. Low-grade ore is kimberlite What is low  
grade kimberlite? What is recovery rejects? What is the coarse kimberlite and  
the fine kimberlite?  
9 material which will be stored by the plant site  
10 area. Recovery rejects, which represents -- which  
11 is one of the projects of the process and  
12 represents, as you see, a very small component of  
13 the total volumes of waste materials, the coarse  
14 kimberlite, the coarse PK and lastly the fine  
15 kimberlite material.  
16 Essentially, all of these materials are  
17 handled by conventional truck and shovel  
18 methodologies with the exception of the fine PK.  
19 The fine PK, of course, is handled as a slurry  
20 pipeline for disposal.  
21 This is just a brief table or slide to show  
22 the scales of this project relative to say, for  
23 instance, Ekati. The left -- under the Jericho  
24 heading, of course, you see the same volumes or  
25 tonnages that you saw life of mine for the project  
26 and then yellow, in the right column you see the

0039

1 one year of production for Ekati for some of these  
2 materials. And, in general, you can see that there  
3 is quite a significant difference just on one year  
4 of production at Ekati compared to the life-of-mine  
5 volumes for Jericho.  
6 This is the production schedule for those  
7 materials. The first two years is when the  
8 overburden materials come off the open pit. Four  
9 years of mining gives us four years of waste rock  
10 and low grade ore. And the processing of the  
11 kimberlite gives us the extended time lines that  
12 you see there for the recovery rejects and coarse  
13 and fine PK.  
14 This is a blowup of the -- basically the mine

15 area with the various elements of dumps and  
16 stockpiles. You can see in yellow, the open pit.  
17 Immediately to the east of the open pit is the  
18 overburden stockpile. There are two waste dumps,  
19 waste dump site 1, which will be developed first in  
20 this area, northeast of the pit. The second waste  
21 dump for waste rock is site 2 immediately south of  
22 the open pit. The low grade ore, low grade  
23 stockpile, the coarse process kimberlite stockpile,  
24 and then you can just see a portion of the PKCA  
25 which we will talk about later.  
26 I just want to point out one subtle

0040

1 difference or detail relative to this layout and  
2 what Greg showed earlier. Since the preparation of  
3 his presentation, we have moved some of these  
4 facilities back a little bit so the toe stays  
5 inside catchment?????. This green line is a catchment  
6 line, and these facilities now all stay in that  
7 catchment so drainage of these areas is to the  
8 north and does not go to Key Lake.  
9 The foundation conditions at especially all  
10 the waste dumps and stockpiles consist very simply  
11 of bedrock or bedrock with isolated soil deposits.  
12 Essentially all of the waste dump sites are  
13 underlain by several hundred metres of permafrost.  
14 This is just a typical slide or typical  
15 section showing the configuration of most of the  
16 dumps, certainly the stockpiles and dumps exclusive  
17 of the recovery rejects. Essentially, you have a  
18 series of lifts. Let me start again from the  
19 beginning, from the portion of the toe.  
20 Initially, the organic material at the toe is  
21 removed. The material that's placed next is  
22 essentially done over in winter, so to preserve the  
23 frozen conditions in the active layer. For the  
24 low -- all of the kimberlite material dumps such as  
25 the low grade stockpile and the coarse PKCA --  
26 coarse PK will then be -- a layer of rock will be

0041

1 placed over top for geochemical regions to provide  
2 a buffer and to preserve the permafrost, and then  
3 subsequently in a series of approximately 10-metre  
4 lifts, the waste materials we deposited.  
5 The outer face will be -- the angle of repose  
6 will be fairly steep, that's the dump angle at  
7 about 35 degrees, and then there will be at the  
8 end -- at the top of each lift, there will be a  
9 berm or bench of about 13 or 14 metres width, and  
10 then the next lift will start. The overall slope  
11 angle from toe to the crest will be approximately  
12 21 degrees.  
13 So this just very briefly summarizes those  
14 construction procedures. To enhance the physical  
15 stability of these dumps, the organic soils in the

16 toe area to be stripped, material to be end-dumped  
17 in layers and overall slope of quite flat 21  
18 degrees. To enhance the geochemical stability, the  
19 details of the geochemistry will be discussed  
20 later, actually, but just to enhance the  
21 geochemical stability, a frozen layer will be  
22 maintained in the base of the dumps and stockpiles,  
23 and for the low grade and coarse tailing  
24 stockpiles, a layer of coarse, granitic waste rock  
25 will provide separation with any organic soils.  
26 The recovery rejects dump design, which is a

0042

1 very small dump, it is situated in this location  
2 approximately. It is a little bit different. All  
3 of the organic materials will be stripped from  
4 beneath that dump. Granitic waste rock will be  
5 used to establish a level platform, and then a  
6 plastic liner will be established underneath or at  
7 the base of the dump with esker sand on either side  
8 of it. Otherwise, the construction of the dump  
9 from that point upwards will be the same as  
10 discussed previously.  
11 Moving from the dumps and stockpiles to the  
12 PKCA, this particular slide shows the general  
13 layout of the PKCA and its various elements.  
14 Essentially, the site overlies Long Lake and  
15 is comprised of a series of dams. At the lowest  
16 point on the overall site is the west dam, moving  
17 around is the north dam. The east dam, is  
18 southeast dam, a series of dikes which are quite  
19 small, and then in this location downstream of the  
20 settling pond is the settling pond dam.  
21 This slide illustrates schematically the  
22 volumetric aspects or storage capacity aspects of  
23 the PKCA. The lowest level or elevation in the  
24 lake is approximately 506 elevation down in here.  
25 At the west dam, which is effectively the one, the  
26 most downstream containment structure, the

0043

1 elevation of the natural ground is approximately  
2 515. So there is quite a bit of storage capacity  
3 for solids within the Long Lake facility itself.  
4 Assuming a typical density from what you get  
5 from other projects, you end up with approximately  
6 380,000 cubic metres of fine PK, and then given the  
7 design elements, you have 1.4 million storage and  
8 then a spillway and then free board on top of that.  
9 This particular slide assumes no ice entrainment  
10 within the processed kimberlite.  
11 This slide illustrates again the no ice  
12 entrainment. Assuming that there is 50 percent ice  
13 entrainment in the tailing -- or in the processed  
14 kimberlite, you double up that volume of processed  
15 kimberlite, you still have in the order of 1  
16 million cubic metres of storage before the top of

17 the spillway is encountered and then free board  
18 again on top of that.  
19 The difference between these two scenarios  
20 really depends on how the facility is operated,  
21 water management issues and so on. And the reality  
22 is there is likely to be somewhere between these  
23 two scenarios. Based on the air-photo  
24 interpretation and detailed field reconnaissance  
25 and recent drilling, the foundations at the various  
26 -- within the PKCA consist typically of bedrock

0044

1 with soil deposits. On the abutments, essentially  
2 you have in most cases bedrock with some soil,  
3 particularly on the south side of the facility.  
4 Within the valley itself, the long orientation of  
5 the facility in Long Lake, there is a series of  
6 glacial-deposited boulders and cobbles in the till  
7 matrix, some silt, sand and gravel.  
8 Of course, the bedrock in that area, the  
9 reason that Long Lake is situated there is because  
10 it coincides with the fault. And, essentially,  
11 with the exception of the talik under the lake,  
12 essentially the permafrost is present around the  
13 entire site and extends several hundred metres into  
14 bedrock.  
15 Next slide. I will just -- this slide just  
16 touches on some of the key design issues associated  
17 with the PKCA. The facility, by conventions  
18 associated with dams, is a low consequence  
19 category. That criterion defines a lot of the  
20 other elements that are appropriate in the design  
21 of the dams associated with the PKCA. So in  
22 essence though, in summary, the containment will be  
23 provided by an ice core within the dams, as well as  
24 a HDEP liner.  
25 The dams are not that high, they are in the  
26 order of 9 to 12 metres in height. Although the

0045

1 settling pond dam is 6 metres high. The facility  
2 allows for significant ice entrainment, it also  
3 allows for water management, as will be discussed  
4 later, and sludge storage, and the embankments  
5 themselves will be designed to handle a  
6 1-in-2475-year earthquake, which is essentially  
7 consistent national building code regulations that  
8 will be coming out in 2005.  
9 This is a typical section through the -- any  
10 of the dams in the PKCA. What I want to point out  
11 is it has a frozen core. In green there is a high  
12 density polyethylene or plastic liner, and then on  
13 the upstream face, this is where the processed  
14 kimberlite and water would be retained. On the  
15 upstream face is rip rap, the other element is  
16 waste rock. The cutoff in this area goes down  
17 through the active layer and connects into the

18 natural permafrost.  
19 Very briefly, the construction will be based  
20 on conventional ice core dam construction  
21 procedures using an experienced contractor. Most  
22 of the materials will consist of waste rock or  
23 esker sand, and the construction of all the dams  
24 would be done in winter over one season.  
25 Just to touch briefly on the hazardous  
26 materials, essentially the petroleum projects,

0046

1 hazardous materials, hazardous wastes, and the  
2 storage of the ammonium nitrate necessary for  
3 blasting and development of the mine, all these  
4 materials will be handled using protocols  
5 appropriate and consistent with the current  
6 regulations.  
7 Just to summarize now, waste dumps and  
8 stockpiles have been adjusted slightly so that they  
9 stay in one catchment. The design and  
10 construction, proposed construction procedures have  
11 been developed to enhance physical and geochemical  
12 stability. For the PKCA facility has a low  
13 consequence classification. It has adequate  
14 storage capacity, and containment is actually  
15 provided by the integration of ice core dams within  
16 the permafrost foundation coupled as a  
17 belt-and-suspenders approach with a plastic liner.  
18 And the construction is very conventional.  
19 And, again, hazardous materials, just to  
20 close off, will be handled using appropriate  
21 methods and consistent with appropriate  
22 regulations.  
23 Madam Chairman, that concludes my  
24 presentation.  
25 CHAIRPERSON: Thank you. Tahera will  
26 continue with your presentation after our 15-minute

0047

1 break. Thank you.  
2 (RECESSED AT 10:26 A.M.)  
3 (RECONVENED AT 10:50 A.M.)  
4 CHAIRPERSON: Shall we begin? We took a  
5 little longer on our break, sorry about that.  
6 Tahera, you may continue.  
7 MR. MISSAL: Thank you very much, Madam  
8 Chair. We are going to move on to some water  
9 quality and site water management issues, and  
10 presenting that today to my left will be Kelly  
11 Sexsmith and Pete McCreath.  
12 And just a bit of background on Kelly --  
13 CHAIRPERSON: Sorry, before you begin.  
14 Bill, you had a few things?  
15 MR. TILLEMANN: Thank you, Madam Chair.  
16 And it was just on the matter of any new  
17 information that was presented. There was some new  
18 pieces of information in Tahera's presentation that

19 weren't included in our materials, and so I have  
20 talked to their counsel, and at the proper time,  
21 the audience needs to know that she will be  
22 submitting for marking as exhibits through the  
23 court reporter the following documents: the first  
24 one is a package of CVs of the presenters so that  
25 the audience can know the background of anyone who  
26 presents. And if they wish, they are entitled to

0048

1 ask questions about that.  
2 The second one is the slide presentation in  
3 its whole, and once again, that will be prepared by  
4 Tahera and sent to the Board, which means it would  
5 be available to all the parties, should they wish  
6 it.  
7 Next would be the maps on the walls, and we  
8 will have Tahera summarize those, and we will mark  
9 those individually. If any party or the Board  
10 itself wishes to ask questions about that, it is an  
11 easy reference point in the transcript itself.  
12 And then finally, not by way of exhibit but  
13 by way of order of presentations, KIA's witnesses,  
14 of course, aren't here today because they would  
15 expect us in Kugluktuk. We will hope to have them  
16 here tomorrow or Wednesday, but in any event, we  
17 would need to bump them to the end of the list, and  
18 that's my suggestion to the Board.  
19 And for matters of timing, we had suggested  
20 that 30 minutes would be the presentation time for  
21 the parties and the audience, and I think most of  
22 them feel that would be appropriate, but if they  
23 need more time, we should accommodate them given  
24 the change in the venue accordingly.  
25 And those are my comments, Madam Chair, thank  
26 you.

0049

1 CHAIRPERSON: Okay. Thank you. Greg?  
2 MR. MISSAL: Okay. Thank you very much.  
3 Just a bit of background on Kelly Sexsmith. Kelly  
4 is a senior geochemist with SRK consulting in  
5 Vancouver. She has 12 years of experience in the  
6 geoenvironmental division of SRK, specializing in  
7 the geochemical characterization of mine waste.  
8 Kelly's northern experience includes  
9 monitoring of seepage from the waste rock piles and  
10 coarse kimberlite rejects at the Ekati diamond mine  
11 in the Northwest Territories.  
12 And in terms of Peter McCreath, Peter is the  
13 president and principal of Clearwater Consultants  
14 Limited. He is a water resources engineer with  
15 over 25 years of experience in mining and resource  
16 development of projects across Canada and around  
17 the world. His specialist expertise is hydrology,  
18 hydraulics and river engineering has been applied  
19 to more than 100 mining projects ranging from



20 prefeasibility assessments to final designs,  
21 decommissioning and reclamation studies.  
22 Many projects located in northern Canada have  
23 entailed the development of water management plans  
24 for tailing areas, waste dumps and heap leech pads,  
25 including diversion facilities, sediment control  
26 ponds and spillways. So with that, I will let

0050

1 Kelly and Peter begin their presentation. Thank  
2 you.  
3 MS. SEXSMITH: Okay. In this  
4 presentation, I'm going to cover some of the key  
5 water quality issues associated with the site --  
6 you can put the next slide on -- how we  
7 characterize the mine rock and the processed  
8 kimberlite in order to anticipate what the water  
9 quality will be like and, therefore, how we will  
10 need to manage it to protect the environment, and  
11 how we estimated metal and nutrient concentrations  
12 from the mine rock and processed kimberlite.  
13 I am going to then turn the talk over to  
14 Peter, who is going to talk about the site water  
15 management and the water and load balance and how  
16 we used that to come up with discharge  
17 concentrations from the mine.  
18 We are also going to briefly touch on the  
19 monitoring of the locations on the site to ensure  
20 that water quality is meeting the expectations that  
21 we have.  
22 Following our talk, Bruce Ott will talk about  
23 the receiving water quality and the significance of  
24 any impacts on the receiving water. And Andre  
25 Sobolewski will talk about water treatment.  
26

The key water quality issues for the Jericho

0051

1 project are the release of nutrients from sewage  
2 and waste stockpiles, control of suspended  
3 sediments from waste rock and construction areas,  
4 and the potential for acid rock drainage and/or  
5 metal leeching from the waste rock and processed  
6 kimberlite.  
7 The release of nutrients such as ammonia,  
8 nitrate and phosphorus is a particular concern in  
9 northern environments where the receiving water has  
10 such low concentrations in the background waters.  
11 The main concerns with these is that increased  
12 biological activity will lead to loss of oxygen in  
13 the lakes. However, some of these are also  
14 directly toxic, so we want to make sure that we are  
15 controlling them.  
16 The main sources of nutrients at Jericho will  
17 be residues from the sewage and blasting. The  
18 sewage will be treated using a rotating biological  
19 contractor.  
20 CHAIRPERSON: If you can speak slower for

21 the interpreters. Just speak a little slower.  
22 Thank you.  
23 MS. SEXSMITH: The sewage will be treated  
24 using a rotating biological contractor system,  
25 which is very similar to the one that's being used  
26 at the Diavik mine, and has been demonstrated to be

0052

1 very effective in reducing concentrations of  
2 ammonia and phosphorus.  
3 The treated sewage water will be discharged  
4 to the processed kimberlite containment area, and  
5 there any additional -- any remaining phosphorus in  
6 the water will be removed by algae or absorbed to  
7 the kimberlite solids.  
8 Because the kimberlite -- the Jericho  
9 kimberlite is a land-based pipe, we expect that the  
10 ground conditions will be relatively dry there.  
11 And dry ground conditions should result in  
12 relatively low concentrations of blasting residues  
13 left over in the rock, and that's what can lead to  
14 ammonia leeching from the rock.  
15 We will be managing the blasting process  
16 carefully to ensure that any cutoffs and spillage  
17 is minimized to reduce -- to further reduce any  
18 nutrients left in the rock. However, there is  
19 still a possibility that there will be some ammonia  
20 left in the rock after mining.  
21 Suspended sediment concentrations are another  
22 concern at this type of project, and we will be  
23 controlling suspended metal concentrations by  
24 allowing the solids to settle in constructed ponds  
25 or in the processed kimberlite containment area.  
26 Flocculents will be used to enhance the rate of

0053

1 settling as needed to ensure that the water is  
2 clear when it leaves the site.  
3 The potential for acid rock drainage and  
4 metal leeching is a particular concern because of  
5 the potential for the release of metals into the  
6 environment. This is a naturally occurring  
7 process, but it is enhanced at mines where the rock  
8 is broken and minerals are exposed to oxygen.  
9 Detailed characterization of the chemistry  
10 and mineralogy of the waste rock and processed  
11 kimberlite was very important for understanding  
12 whether these issues would be -- would occur at  
13 Jericho and what we would have to do to manage them  
14 properly. Because this last issue is so important,  
15 I'm going to talk a little bit more about how we  
16 determined where ARD and metal leeching would occur  
17 at the Jericho project.  
18 The first step in understanding how the rock  
19 will behave is to look at the geology. Very  
20 briefly, the Jericho kimberlite pipe is shown  
21 outlined in green here. It is an elongated shape,

22 and it is made out of several different phases of  
23 eruption through a granitic country rock which is  
24 shown in the hatched here. There is a diabase dike  
25 running along the east side of the pit, and there  
26 is a few bodies of a more coarser grained granitic

0054

1 rock called pegmatite.  
2 The different phases of kimberlite eruption  
3 are made up of different minerals including alovane  
4 (phonetic), serpentine, oxide and carbonate  
5 minerals. Small pieces of the country rock or the  
6 rock surrounding the deposit are picked up by these  
7 intrusions and they are in the rock, and at  
8 Jericho, these include granite and limestone.  
9 The kimberlite ore is surrounded by this  
10 granitic rock with some granodiorite and pegmatite.  
11 The granite rocks in this area with --  
12 CHAIRPERSON: With minerals, just slow  
13 down a bit because there is -- well, in Inuktitut  
14 or Innuinaqtun we don't really have some words for  
15 those, so give the interpreters time to translate  
16 what the minerals mean. Thank you.  
17 MS. SEXSMITH: Okay. Sorry. The granitic  
18 rock surrounding the pipe will form the majority of  
19 the waste rock that will be produced on site.  
20 Portions of the kimberlite ore that don't contain  
21 enough diamonds to warrant processing will also be  
22 stockpiled on the surface. These will be  
23 mechanically separated into a coarse sandy  
24 material, which we call coarse kimberlite, and the  
25 fine mud-like slurry which will be piped to the  
26 processed kimberlite containment area. There is a

0055

1 small material made out of the heavy minerals that  
2 we call recovery plant rejects, and those will be  
3 stored in a lined facility that Cam talked about  
4 earlier.  
5 Representative samples of each of the  
6 materials that I have just talked about were  
7 submitted for testing to characterize their  
8 geochemical properties and determine their  
9 potential for ARD and metal leaching. The test  
10 work that we did is listed above.  
11 The acid base accounting test determines  
12 whether a sample could produce acidity or alkaline  
13 conditions and determines the balance between these  
14 minerals.  
15 The mineralogy tests determine whether any  
16 reactive sulphide materials were present in the  
17 rock. Metal analyses are used to see what kinds of  
18 metals may be in the rock, and leech extraction  
19 tests are used to see what metals are soluble in  
20 the water in contact with the rock.  
21 The bulk samples that were extracted were  
22 processed in a pilot plant to produce

23 representative samples of the tailing slurry, and  
24 we characterized all the products from that work,  
25 including the process water. And more recently, we  
26 have completed settling tests where we have mixed

0056

1 rock samples with water to see what the metal  
2 content of the suspended material or the very fine  
3 particles is, and that is shown in the upper photo  
4 where the test with the water with the suspended  
5 settlement is shown.

6 And, finally, we had an opportunity with the  
7 development waste rock pile, the one used to  
8 extract the bulk rock sample to collect actual  
9 water samples from waste rock that's already on  
10 site, and this was very important because this is  
11 stored under the same climatic conditions that any  
12 rock that will be produced during mining will be  
13 stored under.

14 So the results from this work showed that the  
15 granitic rocks have very low sulphur contents.  
16 This means there is very few reactive sulphide  
17 materials in the rock to generate acidity or metal  
18 concentrations.

19 The rocks have a low potential for acid  
20 generation. The leech extraction test showed that  
21 the water in contact with these rocks had neutral  
22 pHs and very low concentrations of soluble trace  
23 metals, and the development pile samples also had  
24 neutral pHs but slightly higher concentrations of  
25 aluminum, copper and uranium. All other metal  
26 concentrations were very low.

0057

1 The kimberlite materials, and this includes  
2 the ore, the coarse kimberlite and the fine  
3 kimberlite, the acid base accounting results for  
4 those had low sulphur concentrations and high  
5 neutralization potentials indicating, again, a low  
6 potential for acidity or metals.

7 The leech extraction test showed slightly  
8 alkaline or neutral to alkaline pHs, slightly  
9 elevated cadmium, molybdenum and nickel  
10 concentrations, and very low concentrations of all  
11 other soluble trace metals.

12 And as I said previously, the coarse and the  
13 fine processed kimberlite results were very similar  
14 to the ore. These different materials are only  
15 different sizes physically, they are not different  
16 chemically.

17 In the most recent work that we have done on  
18 the site, we estimated water quality from each of  
19 these types of materials by scaling up this  
20 laboratory data to reflect field conditions. These  
21 concentrations that we predicted were then adjusted  
22 to reflect secondary mineral controls or limits on  
23 how high the concentrations could go, and checked

24 against data from very similar geological sites  
25 such as the Ekati diamond mine and against the  
26 results that we saw in those seep samples from the

0058

1 development of the waste rock. The details of  
2 those calculations are all presented in the  
3 supplemental EIS.  
4 We also estimated nutrient concentrations.  
5 For this we used a model called the Ferguson  
6 released model, which is based on the amount of  
7 blasting residue that is used and lost in the  
8 blasting process for an open pit mine. We also  
9 used data from similar sites, again the Ekati  
10 diamond mine, because field conditions were very  
11 important in that assessment. The data from the  
12 existing development rock pile was not used in this  
13 case because that rock was extracted using  
14 underground mining methods which can lead to  
15 slightly more loss of blasting residues into the  
16 rock, so we felt that those samples were not  
17 representative of what we will see at the full size  
18 operations at Jericho.  
19 The source concentrations estimate the  
20 conditions directly at the base of each of these  
21 waste disposal areas, and they represent the  
22 short-term water quality which we believe will be  
23 the highest concentrations that will occur on the  
24 site over time.  
25 This table just shows some of the  
26 concentrations that we estimated. I'm going to

0059

1 hand things over to Peter who will talk about the  
2 site water management, including these waters that  
3 will be managed. And after that, Bruce Ott will  
4 talk about the significance of these numbers in  
5 terms of potential impacts to the receiving  
6 environment. Thank you.  
7 MR. MCCREATH. Thanks, Kelly, Madam Chair.  
8 What I would like to talk about now is the  
9 management of water at the site. Management of  
10 water at any mining project is always a very major  
11 consideration, and the Jericho project is no  
12 exception. The work that has been carried out has  
13 allowed us to develop a water management plan for  
14 the site that we feel is both robust and flexible.  
15 What I will present are some of the details of the  
16 individual components within the site water  
17 management plan, and then I will talk about an  
18 overall site water balance and water quality model  
19 that has been developed for the project.  
20 The first slide shows a general arrangement  
21 of all the facilities at the site, whereby each  
22 individual facility, the waste dumps, the  
23 overburdened storage, the ore stockpiles and the  
24 PKCA have water management components to them.

25 Each area is surrounded by perimeter ditches around  
26 the side of the processing area and the ore storage

0060

1 areas, for example, and these ditches feed to a  
2 series of collection ponds, Pond A, Pond B and Pond  
3 C. I will address these ponds and the individual  
4 areas in a little bit more detail as we proceed.  
5 Some of the information that we are  
6 presenting today has been developed in response to  
7 review comments that were received based on the  
8 FAIS, and this supplementary information has been  
9 aimed -- has been developed to increase the  
10 security and flexibility of water management on the  
11 site. Particularly the flexibility within the  
12 system will allow us to either discharge water  
13 directly to the environment, if the water quality  
14 is acceptable, or direct the water towards the PKCA  
15 for subsequent discharge or to treat the water, if  
16 required, prior to release to the environment.  
17 Changes that have been made since the earlier  
18 layouts include the elimination of a number of  
19 small collection ponds due to the adjustments to  
20 the footprint of, specifically, waste dump number 2  
21 and the coarse tailings stockpile that Cam referred  
22 to earlier. This eliminates any drainage going  
23 towards Key Lake.  
24 We have added a small ditch upslope of waste  
25 dump number 1 that would direct clean water away  
26 from the waste dump and, hence, minimize the

0061

1 quantity of water that would have been handled by  
2 that dump, that collection pond. There are two  
3 additional collection ponds, B and C. Pond B is  
4 located below waste dump number 2, and Pond C  
5 collects drainage from the ore stockpiles and the  
6 processing plant area.  
7 Around the plant there will be several small  
8 sumps and pumps designed specifically to handle  
9 local areas where water quality might be a concern.  
10 Spillways have been added to the main western  
11 dam in the PKCA area and to the settling pond. The  
12 purpose of these spillways is to protect the dams  
13 against possible overtopping and failure, and there  
14 are other contingencies related to water quality  
15 which will be addressed by Bruce Ott and Andre  
16 Sobolewski in subsequent presentations.  
17 This slide shows a conceptual flow diagram  
18 for water management on the site. What it  
19 indicates is that each of the site components is  
20 being fed to a collection pond, waste dump number 2  
21 to Pond B, waste dump and the overburdened  
22 stockpile to Pond A, and the processing plant area,  
23 the ore stockpiles going to Pond C.  
24 In addition, there will be a sump within the  
25 open pit to manage water, runoff water within the

26 pit. The plan is set up such that water that's

0062

1 collected within any one of these ponds could be  
2 directed either to the processed kimberlite  
3 containment area or could be directed to Carat Lake  
4 directly for release if water quality is  
5 acceptable. Where are they going to test the water if it goes  
directly to Carat Lake.

6 From the processed kimberlite containment  
7 area, water will be discharged to the settling  
8 pond, through to Lake C3 and ultimately to Carat  
9 Lake.

10 One of the contingencies for addressing  
11 possible concerns with regards to water quality  
12 would be the use of spray irrigation, the --  
13 another contingency would be use of flocculents  
14 within the settling pond.

15 So, in summary, the water management plan  
16 involves the collection of water from the waste  
17 dumps and the stockpiles in ponds. Depending on  
18 water quality, all of this water will be directed  
19 to the PKCA. That is the baseline assumption that  
20 we have developed, the plan and the water balance  
21 model, assuming that all of this water from all  
22 site components will be directed to the PKCA.

23 From the plant site area a series of small  
24 sumps will direct the water, again, to the PKCA,  
25 higher flows will overflow to Pond C where storage  
26 and pumping will direct the water to the tailings

0063

1 area.  
2 Now, depending on water quality, the water in  
3 the containment area could be directed to the  
4 settling pond for release through Lake C3 into  
5 Carat Lake or it could be directed to spray  
6 irrigation area land application for final  
7 polishing before release to the environment  
8 Flocculents could be added in the PKCA, if  
9 necessary.

10 Each of the components of the water  
11 management plan will be designed using recognized  
12 engineering principles with appropriate risk levels  
13 applied to each component. For example, the  
14 diversion channel, diversion channel C1 around the  
15 open pit and the small channel above waste dump  
16 number 1 would be designed for a 200-year return  
17 period peak instantaneous discharge.

18 In addition, the construction of the channel  
19 would include an allowance for free board such that  
20 the actual channel capacity, in fact, would be  
21 significantly greater than the design flow rate.  
22 This is what I mean by talking about the robustness  
23 of the individual components within the plan.

24 The collection Ponds A, B and C serve both as  
25 collection ponds for water but also as sediment

26 control ponds, settling ponds to remove any

0064

1 sediment from inflowing waters prior to release to  
2 the environment or pumpings to the tailings pond.

3 These collection ponds would be designed with a  
4 combination of water storage within the pond and  
5 pumping capacity from the pond sufficient to  
6 contain a 200-year return period maximum snow melt  
7 month, a high volume inflow event.

8 Sorry, can we just back up. The in-pit sump,  
9 typically sumps within open pits are designed for  
10 something like a 10 to 25-year rainfall event. The  
11 actual location of this sump will probably move  
12 with time, and the pumping capacity will be  
13 developed in conjunction with the mining engineers,  
14 bearing in mind suitable protection for the workers  
15 and sufficient guarantees that the work will not be  
16 interrupted by unnecessary flooding.

17 The processed kimberlite containment area and  
18 the settling pond will both have emergency  
19 spillways to prevent any overtopping and possible  
20 failure of the containment dams. These dams --  
21 sorry, these spillways would be designed for an  
22 extreme event known as a probable maximum  
23 precipitation runoff event.

24 Having developed the overall layout of the  
25 water management plan, we then developed a water  
26 balance model for the overall site, considering all

0065

1 components of the site. The water balance model  
2 included both the quantity of water that could be  
3 generated from each of the site components and also  
4 the quality of the water.

5 Kelly referred to the source concentrations  
6 from example one of the waste rock dumps. Those  
7 source concentrations were included with the  
8 estimates of runoff water that would be generated  
9 from these sites. Flows from the different areas  
10 were mixed such that the final concentration of all  
11 the water combined in the PKCA could be estimated.

12 This slide shows the base-case assumptions  
13 for the water balance model, these include the  
14 eight years of ore processing. I should say that  
15 the model itself is a continuous simulation model,  
16 so it runs throughout the entire period of mine  
17 operation and into the closure period as well.

18 Base-case conditions assumed average  
19 precipitation and evaporation conditions, but with  
20 the ability to look at more extreme events in any  
21 one year or two years, any year within the period.  
22 The basic assumption is that all water from all  
23 site components will be directed to the PKCA.

24 Conservatively, we have also assumed that  
25 there would be no water reclaimed from the PKCA to  
26 the processing plant. In other words, all water



0066

1 for process use will be fresh water coming from  
2 Carat Lake. There will be extensive ice  
3 entrainment within the deposited fine kimberlite.  
4 Cam referred to earlier the volumes and the  
5 elevations within the tailings area, we have a  
6 spillway set at elevation 523. We have made an  
7 assumption that there would be a nominal minimal  
8 operating volume within the tailings area of about  
9 100,000 cubic metres.

10 There will be no release of any water from  
11 the PKCA for the first two years of operation. In  
12 other words, all the water collected, all the  
13 runoff water, processed water collected from the  
14 different site components will be directed to the  
15 PKCA for the first two years and held there, and  
16 the reason for this is to find out what the actual  
17 water quality is going to be.

18 We have estimates, our best estimates now of  
19 what the source concentrations will be, but when we  
20 actually get into operation, we will be monitoring  
21 each of these sources and the kimberlite, the  
22 mixture of all of these sources in the PKCA to find  
23 out what the actual water quality is.

24 The assumption for the water balance model is  
25 that releases will commence from the storage area  
26 in the third year of operation, and that there will

After the two year waiting period, will water from the PKCA be released on a continuous basis (i.e. will there be a settling period?)

0067

1 be up to possibly a million cubic metres per year  
2 of total release from the area to get rid of the  
3 stored inventory from the first two years of  
4 operation.

5 This slide shows the -- for the base-case  
6 model what the variation in the volume of the water  
7 stored within the processed kimberlite containment  
8 area will be, and also the total volume which is  
9 made up of the volume of solids, plus the volume of  
10 supernatant water. The rise at the beginning is  
11 because of the criteria that there will be no  
12 release from the containment area over the first  
13 two years. Subsequent to that, releases commence  
14 and then mining terminates, processing terminates  
15 after the eighth year and the pond level  
16 stabilizes.

17 The model also allows us to estimate the  
18 elevation of the water both within the PKCA and  
19 within the settling pond immediately downstream of  
20 the PKCA, and that is indicated on this slide.

21 The water quality modelling portion of the  
22 model allows us to estimate what the concentration  
23 on any particular parameter may be within the PKCA.  
24 As an example, this slide shows the concentration  
25 of ammonia and how it varies over the life of the

26 mine, including the first couple of years when

0068

1 there is no releases, the middle portion when there  
2 is annual releases going on from the point, and  
3 then after mining processing ceases, how the  
4 concentrations begin to tail off within the pond.

5 These developments of these concentrations  
6 have been carried out for a number of parameters,  
7 as mentioned by Kelly, based on the source  
8 concentrations. This slide shows some typical --  
9 the maximum concentrations expected at any time  
10 during the operating life within the PKCA for a  
11 series of parameters during the operating period  
12 and also during the postclosure period when runoff  
13 from the individual site components will be  
14 directed towards the open pit.

15 What is going to be very important is  
16 monitoring the quality of water at all of the  
17 individual site components. This slide shows the  
18 various locations at which water quality will be  
19 monitored during the operational phase,  
20 specifically the inputs to the PKCA, the collection  
21 ponds A, B and C, water within the open pit,  
22 supernatant processed water from the kimberlite  
23 processing plant, drainage from the recovery plant  
24 rejects and also treated sewage.

25 Water quality also would be monitored within  
26 the PKCA, which is the combination of all of these

0069

1 items. These concentrations that we have developed  
2 then form the end of pipe concentrations for  
3 possible releases from the PKCA.

4 And we will turn it over now to Bruce Ott to  
5 address how these concentrations were applied in  
6 assessing dilution and potential impacts in the  
7 downstream receiving waters.

8 Thank you, Madam Chair.

9 MR. MISSAL: Madam Chair, just before we  
10 let Bruce get started, I would just like to give  
11 you a little bit background on Bruce's experiences.

12 Bruce has a Ph.D. in biology and is a  
13 registered professional biologist with over 25  
14 years of experience in environmental project  
15 approvals and permitting of mining and forestry  
16 projects in western and northern Canada.

17 From 1999 through the 2002, Dr. Ott managed  
18 environmental affairs for Tahera Corporation  
19 specifically related to the Jericho Diamond  
20 Project. His duties included designing in the  
21 execution of the environmental baseline and impact  
22 assessment programs for the project.

23 Bruce also coordinated and supervised the  
24 studies conducted at the site by the external  
25 consultants that are here today, including  
26 fisheries, vegetation, wildlife, socioeconomics,

0070

1 archaeology, hydrology and geotechnical  
2 engineering. And with that, I will let Bruce begin  
3 his presentation.

4 MR. OTT: Thank you, Greg. Madam  
5 Chair, members of the Nunavut Impact Review Board  
6 and Staff, what I am going to discuss briefly here  
7 is the Jericho aquatic discharge assessment, and I  
8 think we need to move to that presentation, please.

9 Sorry, was that the first slide? Sorry,  
10 Madam Chair, a little confusion here. The  
11 assessment was discussed with -- by Kelly and Pete,  
12 and it is based on the supplemental work that was  
13 done by SRK on contaminant loading, water balance,  
14 the regional and local study area, climate  
15 analysis, discharge concentration estimates. And  
16 for the receiving environment, a dilution model  
17 that was -- that was run by Dr. Grismond (phonetic)  
18 and Don Dunbar to provide estimations of the  
19 dilution capability of the system, including Lake  
20 C3, which would be the immediate receiving  
21 environment and Carat Lake.

22 Do we have -- C3 is just right there on the  
23 edge of the map, and this is Carat Lake, and flow  
24 is into C3, into Carat Lake and then out north.

25 CCME, that's Canadian Council of Ministers of  
26 the Environment, guidelines were taken to indicate

0071

1 no chronic effects, and CCME guidelines are just  
2 that, they are guidelines. The mine will be --  
3 will have a regulatory instrument that will  
4 determine the discharge of water quality that will  
5 be allowed, and that will be part of the water  
6 license. However, the guidelines provide an  
7 indication of the levels that have been found  
8 through scientific study to be safe for fresh water  
9 aquatic -- or cold fresh water aquatic life all  
10 over Canada, so they are very conservative  
11 estimates.

12 Two dilution models were run, the first one,  
13 the model takes quite some time to run, and we  
14 started it before the analysis was completed on the  
15 water balance. This first model use extreme low  
16 flow estimate, one in 10-year 7-day low flow for  
17 each of three months of discharge and 60-day low  
18 flow for the rest of time, but didn't take into  
19 account the necessity given the scenario that water  
20 is stored for a period of two years of the total  
21 amount of PK supernatant waters that would need to  
22 be discharged. So the flows were lower than what  
23 would be representative of extreme conditions, but  
24 the discharge was -- sorry, was also lower.

25 So the model was subsequently rerun, and you  
26 can see here the bar along the top and along the

0072

1 side on the previous one gave an idea of the  
2 dilutions, and the second model produced almost  
3 essentially the same result as the first, so that  
4 we are satisfied that the dilution model provided a  
5 conservative robust estimate of what the dilutions  
6 would be in the system.  
7 There was a number of assumptions that were  
8 made to develop an assessment, these were detailed  
9 in the written -- in the written presentations to  
10 the Nunavut Impact Review Board, and I'm just going  
11 to briefly summarize them here for you. There --  
12 we are assuming that there is one discharge point  
13 for all of Jericho water, that is Stream C3 and  
14 into Lake C3. I showed you the lakes previously.  
15 Water is discharged from the PKCA to a  
16 sedimentation or polishing pond and then into  
17 Stream C3. Sewage treatment water is discharged to  
18 the PKCA. All mine water is routed to the PKCA  
19 prior to discharge, and all uncontaminated runoff  
20 water is routed through clean-water ditches and the  
21 Stream C1 diversion, which is required to bypass  
22 the open-pit area.  
23 So we examined a number of scenarios here,  
24 there is that one could look at an infinite number  
25 of scenarios. What we have chosen to do is  
26 illustrate ones that demonstrate what our estimates

0073

1 would be for maximum concentration and minimum  
2 flows and a couple of averages.  
3 We have -- SRK developed for us two estimates  
4 of PKCA end of pipe contaminant levels, and the  
5 maximum contaminant level and what an expected or  
6 average contaminant level. We looked at extreme  
7 low flows, which is one-in-ten-year event, and we  
8 looked at average flows, which is what normally  
9 would occur at the site. So we have a combination  
10 of four scenarios there.  
11 Okay. Scenario one is extreme low flows and  
12 probable maximum PK discharge concentrations. What  
13 we have predicted from the dilution model from that  
14 is that no Health Canada guidelines were exceeded  
15 at the water intake. That's important because the  
16 potable water would be drawn from that, and it is  
17 approximately right there. Sorry, this thing  
18 bounces around a lot because of the distance. It  
19 is approximately right there, discharge is over  
20 here.  
21 There is some potential for chronic effects  
22 from substances for the most sensitive fresh water  
23 organisms, that would be in Lake C3 here. So what  
24 can we do about it? Suggested mitigations would be  
25 cessation of discharge, if that is an option, spray  
26 irrigation or addition of phosphate into the PKCA

0074

1 to reduce ammonia and metal concentrations.  
2 Scenario two is, again, extreme low flows and  
3 average PK discharge concentrations. In here, we  
4 are predicting protection of aquatic life  
5 guidelines, that's the CCME guidelines, would be  
6 met within 100 metres of the mouth of Stream C3 and  
7 that no mitigation would be required under those  
8 circumstances. What effects in the first 100 m of Stream C3, is  
that a concern? What about cadmium concerns as in the averages model? Why  
would cadmium be a problem there and not here?

9 Scenario three is average flow and maximum PK  
10 discharge concentrations, and there we are  
11 predicting that cadmium would exceed protection of  
12 aquatic life guidelines. I should know  
13 parenthetically that the cadmium guideline that  
14 Environment Canada has set is somewhere down around  
15 or below the average detection limit for the metal  
16 so that the concentrations are extremely low.  
17 Mitigation would be treatment to lower  
18 ammonia and tie up metals in the PKCA or spray  
19 irrigation.  
20 Now, scenario four is average, average and  
21 there is potential for slight exceedance of cadmium  
22 within 100 metres. You can see the two sets of  
23 numbers there, those are in milligrams per litre.  
24 If you knock three zeros off the beginning of each  
25 of those, you will have the numbers that are  
26 normally shown by Environment Canada or by CCME in

0075

1 their guidelines.  
2 Then we move to closure, and on closure, we  
3 have the following assumptions: the PKCA will be  
4 reclaimed to land, and any water flowing from  
5 Stream C3 will be essentially uncontaminated.  
6 Water from the mine area after closure discharges  
7 to the open pit, and after approximately 20 years,  
8 the pit will overflow through a prepared channel to  
9 Pond A. Pond A is approximately right there, and  
10 the open pit is here, so we would have a channel  
11 flowing over to there, and then from there out, and  
12 no active water treatment.  
13 Other assumptions we have made is that the  
14 ammonia would be completely oxidized prior to  
15 release, that's after 20 years, but that metals may  
16 still be present above CCME guidelines. If, after  
17 the monitoring of the water during the mining  
18 operation and afterward, the postclosure monitoring  
19 period indicates that metals or that all  
20 contaminants the concern are below CCME, we would  
21 expect to have the water exfiltrate from Pond A as  
22 long as it meets CCME and Health Canada guidelines.  
23 Otherwise, what we are suggesting is that a  
24 diffuser could be set up in Carat Lake, and we have  
25 had a design previously developed for us that would  
26 indicate that we can expect a 36-to-1 dilution

0076

1 within about seven metres.  
2 I should note that dilution of discharge  
3 water has been proposed for the Snap Lake project,  
4 diamond project in NWT, and has been accepted.  
5 This would be diffusion of chronic --  
6 potentially chronically chronic water and not  
7 acutely toxic water, there would be no discharge of  
8 acutely toxic water.  
9 We believe the assessment is conservative for  
10 the following reasons. I have talked about CCME.  
11 Dilution models will use conservative assumptions.  
12 We expect that the volumes of water that need to be  
13 discharged would be less than what we have  
14 predicted. The -- there is also sequestering, and  
15 that's a scientific word that means that metals  
16 would be tied up in the aquatic environment, and  
17 that can occur from a number of forms, the chemical  
18 composition, chemical form of the metal, whether it  
19 is complexed or chelated or absorbed or free ionic,  
20 determines its availability to aquatic organisms.  
21 The metal interaction with components of the  
22 lake ecosystem would generally reduce  
23 bioavailability, and absorption to biotic and  
24 abiotic particles suspended in the water will also  
25 reduce bioavailability.  
26 There are a number of other mechanisms that

0077

1 occur in natural systems that I won't get into here  
2 but that are -- that also work to reduce  
3 availability of metals.  
4 In summary, under average conditions,  
5 discharges during the mining will not be  
6 chronically toxic. Options are available to  
7 mitigate if required. The closure treatment can be  
8 handled passively if the open pit is allowed to  
9 fill naturally.  
10 And that's the end of my talk, Madam Chair.  
11 Thank you very much.  
12 MR. MISSAL: Madam Chair, we will move  
13 along to Mr. Andre Sobolewski next to discuss some  
14 of the land treatment methods. Andre received his  
15 Ph.D. in microbiology in 1987 from the University  
16 of British Columbia. In '89, he started an  
17 environmental consulting company specializing in  
18 treatment of industrial waste water.  
19 He has extensive experience in the north  
20 having worked at the Keno Hill project in the  
21 Yukon, the Brewery Creek mine in the Yukon and  
22 Ekati in the Northwest Territories. He has  
23 authored a review of the environmental impacts on  
24 diamond mines worldwide on behalf of Environment  
25 Canada. So with that, I will let Andre start his  
26 presentation.

0078

1 MR. SOBOLEWSKI: Thank you, Greg, Madam  
2 Chair, members of the Board.  
3 Several people before me have indicated that  
4 it may be necessary to treat water prior to its  
5 discharge. Metals are predicted to be very low,  
6 but ammonia, in particular, has been raised as a  
7 concern. I have been considering various ways of  
8 treating this water and concluded that a land  
9 treatment-based process would be suitable for  
10 treatment of this kind of water. So for the mine,  
11 specifically what I am proposing is that a spray  
12 irrigation-type of treatment system be used where  
13 water is applied on land, and ammonia is taken up  
14 by plants and microbes in the soil and removed out  
15 of the water.  
16 Effectively, for this type of treatment then,  
17 the water fertilizes the land because ammonia is a  
18 nutrient.  
19 What is this type of treatment system, spray  
20 irrigation? It is based on using spray guns that  
21 are placed apart to apply water evenly over a  
22 certain treatment area. Water is pumped from PKCA  
23 through a network of spray guns, so the treatment  
24 system consists of pumps and pipes and these  
25 different spray guns. I will show you in a little  
26 bit what it looks like.

0079

1 The treatment occurs as the water flows over  
2 the land, and at that time, both ammonia and the  
3 metals are removed from the water.  
4 This is an area where we looked at but is not  
5 suitable from treatment, it has many boulders, it  
6 has steep slopes. This is an area which is  
7 suitable for treatment, it has a gentle slope, it  
8 is mostly covered by vegetation.  
9 This is what the spray guns look like. You  
10 see the pipe bringing the water to a spray gun, it  
11 is pumped under pressure so the water is sprayed  
12 out evenly over the land. These are pictures that  
13 were taken on site in 2000 when we conducted tests  
14 on the site, and essentially what we wanted to see  
15 is if this approach would work, if we can pump the  
16 amount of water that is predicted that may need to  
17 be treated at a maximum and find if there are  
18 conditions that would work -- under what conditions  
19 this may work.  
20 There are a lot of advantages to this type of  
21 treatment. First of all, it is very simple, there  
22 are few parts that are needed, it is easy to  
23 assemble, it is easy to get parts, and I think that  
24 is very important in the north. It is a flexible  
25 type of system, it is easy to start, you can start  
26 it very quickly, you can move it around.

0080

1 These types of systems have been used

2 worldwide in agriculture but also in mines for  
3 treatment purposes, and it is quite inexpensive,  
4 which is a good thing. One of the disadvantages is  
5 that it has not been used, it has not been applied  
6 in the arctic, not for the treatment of mine water  
7 in this kind of application.

8 The proposed treatment area is just in this  
9 area here next to Lake C3. There is 15 hectares  
10 available that could be used for spray irrigation;  
11 however, the calculations that I have made, based  
12 on what we expect of the water needing to be  
13 treated, show that we only need 5 hectares, so we  
14 have lots of spare room if we need to.

15 The 15 hectares of this area here is areas  
16 that is gently sloping, it is not very steep. It  
17 has a very high proportion of vegetative cover, it  
18 is not boulder fields like I showed in the video.  
19 It is organic rich soil for the most part. And in  
20 this area, we conducted field trials to show that,  
21 in fact, we could apply water at a high rate and  
22 still we should be able to get effective treatment.

23 Now, I have some concerns. I have to examine  
24 if there will be some impacts of this type of  
25 treatment, and I looked at a number of issues. One  
26 of them is that there is some chloride in the water

0081

1 and maybe that chloride could have an impact on the  
2 vegetation, so we conducted some tests on the site,  
3 and we have showed that when we apply water with up  
4 to 1000 milligrams per litre, that's when there is  
5 a toxic effect. However, the water to be treated  
6 has less than that amount, so I concluded that  
7 there should not be any impacts from chloride in  
8 the water on vegetation.

9 Similarly, I looked at a number of other  
10 issues. There is ammonia in the water, but  
11 actually it will have a positive impact in that it  
12 will stimulate plant growth.

13 There are some low concentrations of metals,  
14 and they may accumulate in soil, we have to worry  
15 about that, and we will be monitoring soil to see  
16 what sort of accumulation of metal may occur and to  
17 make sure that it does not occur -- that it does  
18 not accumulate past safe levels.

19 The water that is being applied is -- has  
20 some fairly high salt concentration, it is not  
21 fresh water; however, I measured the salt  
22 concentrations in the soil where I am thinking of  
23 applying the spray irrigation, and in fact, the  
24 salt concentrations are higher in the soil than  
25 they are in the water, so, in fact, I predict that  
26 the salt concentrations will decrease during spray

0082

1 irrigation.

2 And then there is a concern that the spray



3 irrigation will affect the permafrost in this area.  
4 This summer, there is a couple of test pits that  
5 were done where the active layer was measured, and  
6 it was shown it was fairly deep, so it is expected  
7 that there should be minimal or no impact on the  
8 permafrost; however, it will be monitored, and if  
9 we see that there are some impacts that would  
10 develop, then we can move the treatment area to  
11 other places or expand it as necessary to prevent  
12 any further impacts.  
13 So I mentioned that there will be some  
14 monitoring. There is a monitoring program that has  
15 been developed and that needs to be detailed that  
16 goes together with the spray irrigation. We have  
17 to monitor the quality of the water that is being  
18 treated to make sure that it -- the water that is  
19 discharged into the lake is good water. We will be  
20 monitoring metals in the soil, as I mentioned.  
21 We will be monitoring the active layer to  
22 make sure permafrost is not degraded, and then we  
23 have some contingency measures available, so if  
24 ammonia concentrations are too high in the  
25 discharge going to Lake C3, we can expand the  
26 treatment area. As I mentioned, I calculated I

0083

1 only need 5 hectares, but I have 15 hectares  
2 available, so there is room for that. We can move  
3 it around if there is problems with permafrost or  
4 there is problems with metals in the soil.  
5 So in summary, there is a -- if it is  
6 necessary, we can provide a way of treating the  
7 water from the PKCA to make sure that we will be  
8 monitoring the discharge from PKCA to find out if,  
9 in fact, it is necessary or not. If it is  
10 necessary, then I propose that spray irrigation is  
11 a good way of treating the water, making sure that  
12 it is good quality when it comes into Lake C3, and  
13 I propose a monitoring program be implemented if  
14 there is some spray irrigation to make sure that  
15 there is no negative impacts on the land where the  
16 treatment would occur. Thank you.  
17 MR. MISSAL: Madam Chair, that  
18 essentially brings the water portion of our  
19 presentation to a close. In terms of time, I would  
20 ask your advice on what you would like to do for  
21 lunch. If you would like us to do one more  
22 presentation, it would probably take about 20  
23 minutes or 25 minutes.  
24 CHAIRPERSON: Okay. There is one more  
25 presentation you said takes 25 minutes, so we will  
26 do that.

0084

1 MR. MISSAL: It will be about 20 minutes  
2 or so, yes, that's right.  
3 CHAIRPERSON: Okay. Go ahead.

4 MR. MISSAL: Okay. Thank you. Madam  
5 Chair, we are going to do our next presentation  
6 will be on aquatics, and that will be done by Rick  
7 Pattenden the Mainstream Aquatics Limited.  
8 Rick is the principal and senior biologist of  
9 Mainstream Aquatics. He has pursued a career in  
10 aquatic ecology and environmental biology for more  
11 than 20 years. He has been the primary  
12 investigator for the Jericho Diamond Project since  
13 the base studies were initiated in 1995, and I will  
14 let Rick proceed with his presentation.  
15 MR. PATTENDEN: Madam Chair, Board members,  
16 I'll go over my -- the outline of my presentation.  
17 At first, I will discuss the baseline studies that  
18 were conducted. I will give a description of the  
19 EIS approach that was used. I will describe or  
20 discuss the significance of the impacts, and then I  
21 will briefly go over fish habitat compensation  
22 options and the proposed monitoring program for  
23 aquatics.  
24 So we go into baseline studies. The approach  
25 used for the baseline studies was to collect  
26 information that describes the aquatic biologic

0085

1 community in sufficient detail to allow prediction  
2 of impact. I think it is important to make this  
3 distinction because several intervenors had  
4 indicated that the type and the amount of  
5 information collected during the baseline studies  
6 were inappropriate for monitoring purposes, so I,  
7 in fact, agree with them.  
8 The baseline studies were used to undertake a  
9 proper impact assessment for the project. They  
10 were not designed to collect predevelopment  
11 information for monitoring. I certainly agree that  
12 that type of information is required, and it will  
13 be collected.  
14 The components of the baseline studies  
15 included limnology, periphyton, phytoplankton,  
16 zooplankton, benthic invertebrates, fish and fish  
17 habitat. These are components that you need to  
18 examine to assess project impacts.  
19 The amount of effort expended for the aquatic  
20 studies was extensive. We sampled lakes and  
21 streams during multiple years between 1995 and  
22 2000, five years, and during three seasons during  
23 the open water period, the spring, summer and fall.  
24 Just to give you an example of the components  
25 examined and the years of study, as you can see,  
26 there were several years and multiple components

0086

1 examined. On the left of the table there is a  
2 column called the "type" of study component.  
3 During, the initial phases in 1995 and 1996 when  
4 the project description wasn't finalized, the

5 baseline studies were more general in nature. Once  
6 the project was better defined in 1999 and 2000, in  
7 particular, we were more focused and undertook  
8 detailed studies of particular water bodies to  
9 quantify what the impacts would be.

10 Again, here is an example of the sampling  
11 effort. I won't belabor the point. As you can  
12 see, we have looked at an extensive number of lakes  
13 and streams.

14 This map just gives you an overview of the  
15 sample of water bodies. Again, if you -- the water  
16 bodies in blue, streams and lakes areas that were  
17 sampled. The clear water bodies were not sampled.  
18 As you can see, the majority of the area did have  
19 sampling completed. Just as an overview, this is  
20 what we referred to as a control lake, this is  
21 Lake C3, the water continues to flow through to  
22 Carat and up through to Jericho Lake and then down  
23 into the Jericho River, and Contwoyto is to the  
24 east here.

25 So what were the results of the baseline  
26 studies? In a nutshell, lakes and streams in the

0087

1 project area are typical of most water bodies in  
2 Nunavut, they are cold, clear, and they have few  
3 nutrients. The aquatic communities are simple.  
4 Typically there is few species, and they exhibit  
5 low productivity, and a good example of that would  
6 be few fish and slow growth of those fish.

7 The fish populations in the area are  
8 residence or landlocked. I say that because there  
9 is a cascade located just downstream of the outlet  
10 of Jericho Lake on the Jericho River, it is 15  
11 metres high, and the fish can get through if they  
12 really tried hard, but it is virtually impossible  
13 for them to get through, and we actually looked at  
14 that question during several years of study and  
15 didn't identify any accumulations the fish at the  
16 bottom of the cascade, which is a clear indication  
17 to me that fish weren't moving through the system.  
18 So fish in the project area are resident, they are  
19 not migratory. The most frequently encountered  
20 fish are lake trout, round white fish, arctic char  
21 and slimy sculpin.

22 Most lakes in the project area can support  
23 fish year round. Most streams in the project area  
24 are small, and they are only used by fish during  
25 the flowing water period. That is because they  
26 freeze to the bottom.

0088

1 Again, this is an illustration of where we  
2 found fish in lakes and streams. Water bodies in  
3 red contained fish. Those in blue that were  
4 sampled did not contain fish. The white dots  
5 represent the outlet areas of streams where fish

6 were found, but further up in the stream no fish  
7 were found. The only exceptions of the fish -- of  
8 the water bodies that were samples where no fish  
9 were found were a small water body here called Lake  
10 C2 at the headwaters of Stream C1 and another small  
11 water body here called Lake C4 which drains into  
12 Carat Lake, all the others contained fish.

13 If we go on to the Environmental Impact  
14 Statement, the approach -- basically, we followed  
15 the requirements of the Nunavut Impact Review Board  
16 environmental impact assessment guidelines. Fish  
17 were used as a valued ecosystem component. We  
18 chose fish because they are socially important and  
19 they are good indicators of impact.

20 Impacts on other aquatic biota such as  
21 phytoplankton and zooplankton were examined  
22 indirectly through project effects on fish, and,  
23 for example, if reduced water quality would affect  
24 zooplankton abundance, that would affect food for  
25 fish, so that's how we looked at that aquatic  
26 component.

0089

1 We used a conservative definition for  
2 significance of impact, and that definition was a  
3 project effect that causes a permanent change in  
4 the fish community. Again, I say this is concerted  
5 because we could have chosen arctic char, for  
6 example, which is one species. So if there was a  
7 project effect that didn't affect arctic char, then  
8 there would be no impact, but because we chose fish  
9 community, any fish population that would be  
10 affected by the project would be significant.

11 The potential impacts caused by the project  
12 can be based or categorized into three groups,  
13 direct mortality of fish, loss of fish habitat or  
14 reduced water quality.

15 Now, reduced water quality was examined in  
16 terms of whether it was toxic to fish or whether it  
17 excluded fish from a particular habitat.

18 The impact assessment looked at many  
19 different types of potential impacts. I'm just  
20 going to present six which caused residual impacts  
21 after mitigation and something we had to look at in  
22 more detail. The six are use of explosives at the

23 mine site, Stream C1 diversion around the mine pit,  
24 the water intake causeway used to provide water for  
25 the mine site, which is the causeway is located in  
26 Carat Lake, discharge from the PKCA which flows

0090

1 into Lake C3 through Stream C3, mine site discharge  
2 from the -- sorry, mine site discharge during  
3 postclosure, and finally the processed kimberlite  
4 containment area footprint.

5 The first potential impact was use of  
6 explosives. This slide shows you the mine pit and

7 the potential zone of impact where explosives used  
8 can affect fish. This circle is not to scale, it  
9 just illustrates what the potential problem is.  
10 Obviously when they are using explosives in the  
11 mine pit, the blast effects could extend through  
12 Stream C1 and into Carat Lake, or if it was large  
13 enough, it would go as high as Lake C1.  
14 The fish species that could potentially be  
15 affected by the blast zone are those that live in  
16 Carat Lake and those that use the lower section of  
17 Stream C1. There is also fish population, lake  
18 trout and slimy sculpin in Lake C1.  
19 So what are the -- what's the outcome of the  
20 impact assessment? Well, first, the amount of  
21 explosives used and the detonation frequency were  
22 reduced as far as possible to minimize the blast  
23 zone or the area of impact. So once that was done,  
24 the impact zone was restricted to Stream C1 because  
25 it is right next to the blast zone and a small  
26 portion of Carat Lake at the stream outlet. The

0091

1 impact zone didn't extend to Lake C1. The impact  
2 zone based on DFO guidelines or the impact would  
3 only affect fish eggs and not fish, and this is  
4 based on DFO criteria.  
5 So the impact is on fish eggs, and finally,  
6 the only fish eggs that are present, potentially  
7 present would be those of slimy sculpin. There are  
8 no arctic grayling in Stream C1 or no arctic  
9 grayling eggs or eggs of other species in Stream  
10 C1.  
11 So based on this information, the conclusion  
12 was there would be no significant impacts because  
13 the sculpin eggs at the mouth or in Stream C1  
14 weren't essential for the long-term health of the  
15 slimy sculpin population in the lake, so we  
16 concluded no significant impacts.  
17 The second potential impact is the Stream C1  
18 diversion. This is represented by the dotted line  
19 beside the mine pit. It is required to divert  
20 outlet flow from Lake C1 around the mine pit,  
21 obviously for safety reasons and others, and down  
22 back into Stream C1. The diversion will cause  
23 dewatering of a certain portion of Stream C1, so  
24 there is certainly a potential impact.  
25 Construction of the diversion and maintenance may  
26 cause infrequent suspended sediments to enter

0092

1 Stream C1 further downstream. So those are the two  
2 potential impacts associated with diversion.  
3 So what's the results of the assessment? As  
4 far as mitigation goes, the diversion will be  
5 designed to ensure structural stability and  
6 accommodate peak water flow, therefore, a series of  
7 erosion problems are not expected.

8           The dewatered section of the Stream C1  
9     affected by the diversion is not used by fish.  
10    During five years of study, fish were never found  
11    more than 100 metres upstream at the lake. The  
12    diversion is located 175 metres upstream from the  
13    lake. We acknowledge that some food production may  
14    be reduced by the diversion, but it is not enough  
15    to cause serious consequences to the fish.  
16           Sediments would be introduced but only during  
17    the initial infilling of the diversion and during  
18    any required maintenance. There is no maintenance  
19    schedule established for the Stream C1 diversion,  
20    that can't be established until it is operational.  
21    But maintenance is expected to be very infrequent.  
22    So the impacts of sediments introduction would be  
23    restricted to the lower section of Stream C1 and a  
24    small portion of Carat Lake at the stream outlet,  
25    and the impact would occur infrequently, probably  
26    just once during the initial infilling. Based on

0093

1     that assessment, we concluded there would be no  
2     significant impacts from that.  
3           Another potential effect is the water intake  
4     causeway, it is located in this area. It is  
5     required to protect the water intake pipe from ice  
6     scour, it is approximately -- well, it is 90 metres  
7     in length. As you can see, it is located adjacent  
8     to stream C1. The potential effects would be the  
9     footprint of the causeway covering fish habitat and  
10    potential consequences to water circulation. And a  
11    third impact would be sediment introduction into  
12    Carat Lake during construction.  
13           As far as mitigation, the sediment  
14    introduction can be maintained using proper  
15    management during construction. The causeway is  
16    small, 90 metres long. The causeway is not located  
17    in important fish habitat, i.e., spawning sites.  
18    The area where the causeway is going to be located  
19    is used for feeding and rearing, but no spawning  
20    areas were identified where the causeway is to be  
21    located.  
22           Altered water circulation is measurable, but  
23    we feel that there would be minimal effects on  
24    adjacent fish habitats. So the conclusion of the  
25    assessment, there won't be any significant impacts  
26    caused by the causeway on fish.

0094

1           Another potential impact obviously is the  
2     PKCA discharge. The system is going to drain  
3     through Stream C3 into Lake C3. Stream C3 is used  
4     by fish for rearing purposes by several species.  
5     Operation of the PKCA may cause contaminated water  
6     to flow downstream if unmitigated, and the water  
7     management strategy is for basically all discharge  
8     into Stream C3 to be terminated for two years, so

9 that's an obvious impact.  
10 The mitigation will include water treatment  
11 if required, so potential water quality impacts  
12 would not occur, so that was excluded from the  
13 assessment. As I mentioned, discharge would be  
14 altered in Stream C3. The impact stream habitat is  
15 of marginal value to fish based on DFO's criteria.  
16 Fish do use the stream, but it is very small, and  
17 it is not important to fish.  
18 Also, there is low numbers of fish that use  
19 the lower section of Stream C3. Based on that  
20 information we again concluded that there would be  
21 no impacts to fish, or no significant impacts to  
22 fish.  
23 Mine site discharge postclosure: This  
24 assessment was undertaken in the event that a  
25 diffuser and pipe system would be required during  
26 postclosure. As was described earlier, mine site

0095

1 flow would be diverted to the mine pit, if  
2 necessary, then to Pond A, and then if necessary,  
3 through a pipe and diffuser into Carat Lake. So we  
4 undertook an impact assessment for this scenario.  
5 There is a small red dot at the end of the pipe,  
6 and that essentially is the impact zone if this  
7 scenario was undertaken. Within seven metres of  
8 the diffuser, water quality would not exceed CCME  
9 criteria for the majority the potential  
10 contaminants.  
11 There is no important fish habitat out there,  
12 although I'm sure fish frequent the area. So the  
13 potential impact is the water quality discharge may  
14 result in loss of fish habitat and reduced fish  
15 health in Carat lake. The impact would be  
16 mitigated by diluting the concentrations using a  
17 diffuser. The impact would be restricted to the  
18 mixing zone, which is approximately a seven metre  
19 radius, and the impacted area is not important to  
20 fish and is not used by large numbers of fish.  
21 Based on that information, we concluded there was  
22 no significant impacts on fish.  
23 The final potential impact for the project is  
24 the footprint to the PKCA. The PKCA will be  
25 located in what I call the Long Lake system. There  
26 is Long Lake, there is a small pond here and

0096

1 another one here. Each of these water bodies  
2 contain fish. Slimy sculpin and burbot are found  
3 in Long Lake, in this water body, slimy sculpin are  
4 located there. So obviously that habitat would be  
5 destroyed by creation of PKCA and those fish  
6 populations will be lost.  
7 So there will be a permanent loss of fish  
8 habitat in the Long Lake systems, and the two  
9 species populations that would be impacted would be

10 slimy sculpin and burbot. There will be a fish  
11 salvage program undertaken to save as many fish as  
12 possible, but because we are dealing with very  
13 small fish, slimy sculpin don't grow very large, it  
14 will be very difficult to collect all the fish.

15 So the outcome of that effects assessment is,  
16 yes, there will be a significant adverse impact on  
17 fish that reside in the Long Lake system. I wanted  
18 to discuss a little bit about the importance of  
19 that impact. The first is the system provides  
20 marginal fish habitat compared to other  
21 fish-bearing lakes in the immediate vicinity.

22 The water bodies that are affected are quite  
23 about, about 10 hectares in total, and there is  
24 just enough depth for fish to survive the winter  
25 with a maximum depth as in Long Lake, and that's  
26 eight metres, and that's pretty well the cutoff of

0097

1 where you would find fish. So the fish are just  
2 good enough for -- or the lakes are just good  
3 enough for fish to survive.

4 The lakes support low numbers of only two  
5 species; virtually other lakes in the study area  
6 have four or five species present. From an  
7 ecological perspective, Long Lake is not as  
8 important as other fish-bearing lakes in the area.  
9 And finally, if a lake must be impacted, Long Lake  
10 is probably your best choice.

11 So in summary, are the impacts on aquatic  
12 biota significant for the use of explosive? The  
13 answer is no. Stream C1 diversion? No. The water  
14 intake causeway? Again, no. The same for the  
15 discharge from the PKCA and the mine site discharge  
16 during postclosure. So the only significant impact  
17 on aquatic biota based on our assessment is the  
18 footprint from the PKCA.

19 I'll go very briefly into our fish habitat  
20 compensation plan which has been presented to DFO,  
21 it is a plan that's currently being discussed and  
22 has not been finalized. The approach we used for  
23 the compensation plan was to use methods that  
24 provide the greatest benefit to fish and will last  
25 after the mine is closed, and it is based on proven  
26 methods that meet DFO fish habitat compensation

0098

1 requirements.

2 The two broad compensation options that we  
3 presented to DFO included physical enhancement of  
4 fish habitat, and improvement of fish access to  
5 critical habitats.

6 DFO has asked Tahera to look at mine pit  
7 enhancement postclosure, and that is something that  
8 Tahera is currently looking at.

9 I don't want you to concentrate on the fish  
10 numbers, just basically it gives you an overview of



11 the type of habitats that are affected, streams,  
12 lake shore of Carat Lake and lakes, the Long Lake  
13 system, the affected square metres of habitat, the  
14 amount of compensation that would be created if  
15 methods proposed by Tahera were implemented and the  
16 ratio of how much habitat you would gain by  
17 compensation.

18 Finally, I will give you a brief overview of  
19 our aquatic effects monitoring program. The  
20 approach is to collect reliable information that  
21 would allow detection of change caused by the  
22 project and to test predictions of project impacts,  
23 that's the primary objectives of any monitoring  
24 program.

25 We will focus on components that are good  
26 indicators of change. We will use accepted sample

0099

1 design and methods that are typically used at other  
2 mine sites, and we will invest sufficient effort in  
3 order to detect change associated with the project  
4 if one exists.

5 These are all essential components if the  
6 monitoring program is to work. And, finally, the  
7 components that will be examined, first the  
8 potential impacts that will be monitored are  
9 nutrient loading, sedimentation and potential  
10 contaminants from the mine. The monitoring  
11 components will be rate of sedimentation, the  
12 effects on periphyton, we will also look at  
13 phytoplankton, zooplankton, and benthic  
14 invertebrates, and finally metal contaminants in  
15 fish will be monitored.

16 That's the end of my presentation. Thank you  
17 very much, Madam Chair.

18 CHAIRPERSON: Thank you. Greg?

19 MR. MISSAL: Thank you, Madam Chair. I  
20 think for us it is an appropriate time to break for  
21 lunch if that suits you and the Board.

22 CHAIRPERSON: Okay. Yes, we will break  
23 for lunch. The following people have arranged  
24 lunch and will have lunch here at the hall, there  
25 is NTI, three people for NTI, KIA, Fisheries and  
26 Oceans, Tahera, the Impact Review Board, INAC, and

0100

1 -NRCan, I believe you have arranged lunch for here.  
2 Stephanie?

3 MS. BRISCOE: Madam Chair, we did prepare  
4 some extra lunches, so there is enough to feed  
5 everyone in the room if you want to stay for a  
6 bagged lunch. The original plan was in Kugluktuk  
7 there were no restaurants and we were brown bagging  
8 them to take them with us. So obviously the plans  
9 have changed, we now have the brown bags already  
10 prepared, so we have set it up at the back of the  
11 room. Gladys and Jorgen, the brown bags with the

12 dry goods are on one end, your sandwiches will be  
13 separate. There is a macaroni salad and some  
14 fruit, so just work your way down the conveyor belt  
15 and enjoy the hard work and effort that was put  
16 into that.  
17 CHAIRPERSON: Thank you. We will resume  
18 again at about 5 after 1. And if you -- just a  
19 reminder, if you haven't signed in yet, you are to  
20 sign in at the front, thank you.  
21 (RECESSED AT 12:21 P.M.)  
22 (RECONVENED AT 1:09 P.M.)  
23 CHAIRPERSON: Okay. Why don't we start  
24 again? We will continue with Tahera. Greg, go  
25 ahead.  
26 MR. MISSAL: I would like to thank the

0101

1 NIRB and Staff for a great lunch, that was most  
2 enjoyable.  
3 This afternoon we are going to start off with  
4 Dr. Robert Humphries going over an air quality  
5 presentation. And Robert is a manager of Air  
6 Quality Modelling and Assessment Group for Levelton  
7 Engineering. It provides services in dispersion  
8 modelling and meteorological monitoring, remote  
9 sensing, meteorological analysis and air quality  
10 assessment. He received his doctorate in  
11 meteorology in 1974 and has over 25 years of  
12 experience in air quality modelling and assessment.  
13 The projects have been located in Canada,  
14 United States and overseas. So with that, I will  
15 leave it to Robert to go into his presentation.  
16 MR. HUMPHRIES: Thank you, Greg, Madam  
17 Chair and members of the Board. On the air quality  
18 modelling and assessment, I'll basically be going  
19 over the methodology, the emission sources, results  
20 and assessment, mitigation and monitoring and a  
21 brief summary of the conclusions.  
22 Within the methodology, we looked at the  
23 climatology, the meteorology involved, model  
24 selection and modelling protocol. To do the air  
25 quality assessment, we have to rely on using  
26 computer models to estimate what the various

0102

1 emissions from the mine site will be and how they  
2 will impact the local ambient air quality. First  
3 thing we need is to have appropriate meteorological  
4 information. Unfortunately, it is somewhat  
5 limited. At that time the Lupin site, they have  
6 meteorological data, but one of the key components,  
7 which is cloud cover and ceiling, is only measured  
8 -- sorry, slow down, right. I'm getting pumped  
9 here. It is all the energy from the lunch going  
10 through me.  
11 The cloud cover and ceiling height is key  
12 information that we need, and unfortunately at

13 Lupin it is only measured for part of the day. At  
14 Jericho, at the site there, they have a weather  
15 station, but it only measures wind speed, wind  
16 direction and temperature. So the problem is that  
17 the available data did not allow us to measure  
18 something called the atmospheric stability which  
19 the models need.

20 So we conferred with our colleagues in  
21 Environment Canada, the meteorologists there, and  
22 they agreed that we could use what is called a  
23 screening meteorological data set. Basically, it  
24 is an artificial data set which goes through every  
25 possible combination of weather condition, and then  
26 the model uses that to determine what the worst

0103

1 impacts could be.

2 Then to determine what the impacts will be,  
3 we have to simulate the dispersion of emissions  
4 from a variety of the point sources at the site,  
5 the area and the volume sources, and to do that, we  
6 selected what is called the industrial source  
7 complex model. This is a dispersion model that's  
8 regulatory, approved throughout Canada and many of  
9 the provinces and by the United States  
10 Environmental Protection agency. With this model,  
11 we can actually use the actual terrain of the area.

12 And we have a term we call a "receptor grid."  
13 It is really just all the locations that the  
14 computer can calculate the ambient concentrations.  
15 We use a finer resolution in close, 100 metre  
16 spacing out to about a kilometre and then 200 metre  
17 spacing out to two kilometres, it gets broader, 500  
18 metre spacing out to five and then finally 1000  
19 metres or one kilometre, and that should be to ten  
20 kilometres. Then we have to determine what is  
21 called the mixing height, in other words, that  
22 portion of the atmosphere where things are well  
23 mixed beyond which it is not, it is laminar flow,  
24 and so we use what is called a mechanical mixing  
25 height. This is just a method.

26 For the emission sources, we had a variety of

0104

1 them at the site to consider. The point sources  
2 would consist of the generators, the ore dryer and  
3 the incinerator and determine what the emissions  
4 will be from each of those point sources. We used  
5 what is called the AP-42 emission factors, which is  
6 put out again by the US Environmental Protection  
7 Agency, and we are available for some equipment if  
8 we had the manufacturer's values, we would use  
9 those. For the mobile sources such as the dozers,  
10 the ore trucks, loaders and trucks, again, we use  
11 the US Environmental Protection Agency emission  
12 factors for heavy-duty and non-road engines, and in  
13 some cases we did have manufacturer specifications.

14           Some of the mobile sources are mobile in that  
15 they are trucks going up and down the road, whereas  
16 others are in one general location, such as in the  
17 mine pit or perhaps at one of the stockpiles.  
18           The other type of source, what we call  
19 fugitive emissions, these are typically driven by  
20 windblown dust, for example, or evaporation.  
21           The fugitive sources consist of the storage  
22 piles, any material drops and when you are dropping  
23 something, some dust can be created, any blasting  
24 operations, and, of course, with vehicles  
25 travelling along the road, there is road dust to  
26 consider. Again, we use the AP-42 emission factors

0105

1           and also emission factors from the air pollution  
2 engineering manual.  
3           All these sources now have to be  
4 characterized some way so that the model can handle  
5 them. For the stockpiles, we treated those as what  
6 are called area sources, that is, the emissions are  
7 coming off uniformly over a broad area. Blasting  
8 and material drops are considered to be volume  
9 sources because the emissions can occur over a  
10 volume. Mobile and road sources, we treat it as  
11 line sources, and those were emulated by taking a  
12 series of volume sources and sticking them end to  
13 end, and then finally the stationary sources which  
14 are fairly easy, and they are treated as a point  
15 source.  
16           Now, first of all, to put things in  
17 perspective, we would like to understand a little  
18 about the background air quality in the region.  
19 Now, there was not any ambient air quality  
20 monitoring that was done, so what we did is we  
21 looked at -- found that their -- Environment Canada  
22 has published the monitoring of ambient air quality  
23 at other locations, so we looked at Whitehorse and  
24 Yellowknife, which are presumably going to be not  
25 as pristine as at the mine site.  
26           The first table, just to put things in

0106

1           perspective, shows the Canadian ambient guidelines  
2 for the two types of pollutants that were  
3 monitored, oxide and nitrogen, nitrogen dioxide and  
4 sulphur dioxide. You can see that the -- for  
5 example, for nitrogen dioxide, the maximum  
6 acceptable guideline level is 400 micrograms per  
7 cubic metre, that's just how much pollutants you  
8 can have in a cubic metre.  
9           When you look at what was actually measured  
10 in the two locations, you can see that the  
11 background values are extremely low, and you look  
12 even at the maximum one hour case is only a  
13 percentage or so of the ambient guideline. And if  
14 you look at the annual average, it is very, very

15 low.  
16 If we look at a thing called the 90th  
17 percentile, that's the number which is handy  
18 because a maximum value can sometimes be a one  
19 event extreme. The 90th percentile says that 90  
20 percent of the time these concentrations will be no  
21 greater than, for example for NO<sub>2</sub>, two micrograms  
22 per cubic metre.  
23 The summary, therefore, is that the air  
24 quality in the region is very good and the  
25 background concentration is expected to be quite  
26 low. Now, we look at what's potentially coming off

0107

1 the mine site. Exhaust gases, one of the first  
2 things we look at is greenhouse gases.  
3 Greenhouse gases are not looked at as an  
4 ambient contaminant, but they are more of an  
5 interest because they contribute to the whole  
6 concern of global warming. To put it in  
7 perspective, the greenhouse gases, at a maximum,  
8 would contribute only .0067 percent of the Canadian  
9 total. We look at nitrogen dioxide, which now we  
10 are talking about contaminants, 537 tonnes per year  
11 is the emission inventory estimate. We looked at  
12 NO<sub>2</sub>, concentrations are expected to be below the  
13 ambient guidelines beyond the property, except in a  
14 few cases.  
15 We look at sulphur dioxide, 216 tonnes per  
16 year is expected. And the SO<sub>2</sub> concentrations are  
17 generally below the maximum desirable guidelines  
18 beyond the mine property. They do not exceed the  
19 maximum acceptable guidelines once you get about  
20 500 metres from the pit.  
21 Particulate matter, primarily cause is from  
22 fugitive dust, that's the majority of the source  
23 for particulate matter. The exhausts, of course,  
24 will put out some particulate matter too, but it is  
25 small compared to the fugitive.  
26 So the model concentrations are high because

0108

1 of the fugitive dust, and it is based on  
2 conservative assumptions; that is, all sections of  
3 the road are constantly creating dust and all parts  
4 of the stockpile are constantly creating dust,  
5 which is not going to be the case, but it was a  
6 conservative assumption.  
7 Finally, looking at concentrations in the  
8 mine pit itself, because as you get down into the  
9 mine pit, there is possibility when it is stable,  
10 low level inversions, you could, at times, cause a  
11 buildup of emissions in that pit which could exceed  
12 the ambient guidelines, but they are not likely to  
13 exceed Workmens' Compensation Board levels.  
14 The concentrations in the pit can be  
15 monitored, there is many ways to do this. One

16 simple way would be to give workers a CO, carbon  
17 monoxide, badge, because carbon monoxide is a good  
18 surrogate for combustion gases. So if you are  
19 starting to get high CO levels, then you know some  
20 of the other exhaust parameters are getting high.  
21 So basically only the particulate emissions  
22 show any real indication of potentially high  
23 ambient concentrations, but mitigation and  
24 monitoring for those could include watering of the  
25 roads and the stockpiles, controlling of vehicle  
26 speeds, since the emissions from -- the dust

0109

1 emissions from the road are a function of vehicle  
2 speed. To monitor what's going on we could install  
3 dust fall monitors to see whether or not fugitive  
4 dust really is a serious issue or -- and you could  
5 install PM10 or PM2.5 monitors. Now, PM10 refers  
6 to particulate matter that is 10 microns or  
7 smaller. PM2.5 is 2.5 microns or smaller, and  
8 this, of course, is of interest because those small  
9 particulars can lodge within the bronchial  
10 passages.

11 To minimize equipment and vehicle emissions  
12 various measures can be taken such as making sure  
13 the equipment is operated at rated loads, following  
14 routine maintenance procedures, and where  
15 practical, which wouldn't be the case in the  
16 wintertime but certainly in the warmer weather, if  
17 a piece of equipment isn't going to be used for a  
18 few hours, you could turn it off when not needed.

19 Potential ambient concentrations of nitrogen  
20 dioxide and sulphur dioxide are generally then  
21 within the guidelines, and the highest  
22 concentrations are isolated within the project  
23 site. Fugitive dust may be an issue, likely in the  
24 summertime, but it can be mitigated. Looking at  
25 the cumulative impacts, say with Lupin, we predict  
26 that this cumulative impact would be minimal.

0110

1 Finally, just a brief summary of it all, the  
2 impact of the Jericho emissions are expected to be  
3 negative in direction; that is, there will be a  
4 negative impact at a local or subregional extent,  
5 basically around the mine area or the property  
6 area, low in magnitude, medium term in duration.  
7 It will happen occasionally, it depends upon the  
8 weather conditions. The impacts can be reversed  
9 after the duration of the project; when the project  
10 goes away, there is no more emissions. So the  
11 overall consequence is low to moderate, and the  
12 likelihood of adverse effects is unlikely. Thank  
13 you.

14 MR. MISSAL: So that ends our air  
15 quality presentation. The next presentation will  
16 be the wildlife presentation, and I would like to

17 call on Ben Hubert to do that for us.  
18 While I'm waiting for that to load up, I  
19 would just like to state that Ben has worked  
20 extensively in the north over a 30-year career.  
21 He did live in the north for quite some time, and  
22 now he resides in Calgary working at his own  
23 consulting company in Calgary.  
24 And I'll turn it over the Ben.  
25 MR. HUBERT: Thank you, Greg. Thank  
26 you, Madam Chair, for this opportunity. I'll go

0111

1 over the wildlife situation quickly, focussing on  
2 those aspects of wildlife within the project area  
3 that really stand out as significant and different  
4 from the area around the project area.  
5 And so baseline studies began in 1995, and we  
6 will summarize what and when the studies were done,  
7 an overview of the results, potential interactions  
8 between wildlife and the project, cumulative  
9 effects, and we will also touch on monitoring.  
10 In 1995, den sites and raptors were looked  
11 at. Again, in '96 and '97 birds were added to the  
12 list. In '99, small mammal sampling was added with  
13 caribou and muskox, as well as caribou trail  
14 mapping. 2000, more small mammals were sampled,  
15 along with more nesting bird work. 2001, small  
16 mammals and raptors.  
17 For that entire period, we had the benefit of  
18 the telemetry data from the GNWT that they started  
19 in 19 -- late 1996. We will present the telemetry  
20 data from the 1996 to 2000 period. And very  
21 important, but often not given very much time, is  
22 the fact that the camp was occupied either by  
23 exploration workers or by camp personnel pretty  
24 much the whole time. And they have kept a very  
25 good log, and that log describes and records  
26 significant wildlife events in the project area.

0112

1 I should also say that field studies on  
2 wildlife were done by several different  
3 investigators under the management of several  
4 project managers. We tried to pull all the various  
5 bits and pieces of data together and present it in  
6 the context of the project description that we are  
7 reviewing now and looking at the significant  
8 interactions between the project and wildlife, and  
9 that's what we have presented in the EIS.  
10 On birds, the most common birds in the area  
11 are the small ground nesting birds. Longspurs and  
12 horned larks and pipits are the most common  
13 nesters. The larger birds, jaegers, arctic terns,  
14 and waterfowl, are relatively uncommon, they are  
15 present but not abundant. Ptarmigan, of course,  
16 and then the raptors are the real standout in the  
17 bird community. No threatened or endangered

18 species in the project area were recorded.  
19 The studies, and I'm here commenting on the  
20 points raised by the Canadian Wildlife Service of  
21 Environment Canada in response to the draft EIS.  
22 Studies, perhaps, were not done the way Environment  
23 Canada would have done the studies, but the results  
24 of the studies that we did are very similar to  
25 results of similar studies at the Ulu (phonetic)  
26 project, for example, and at Izok project west of

0113

1 there. And so while the Canadian Wildlife Service  
2 has some issues with the way we did the studies, I  
3 am confident that we and the people monitoring the  
4 wildlife from camp, we have not missed anything  
5 significant.

6 We have presented what would be expected.  
7 The bird community there is a normal tundra bird  
8 community, and I think the EIS and the baseline  
9 studies capture a fair and representative  
10 description of the bird community for the project  
11 area.

12 Mammals, again, like birds, the mammals in  
13 the area are what we expected to find. Lemmings  
14 and voles, of course, are cyclic. Ground squirrels  
15 are everywhere on dry sites. Arctic hare are  
16 spread relatively evenly through the area. There  
17 are a few fox and wolf dens in the project area,  
18 are north and east of the strip. Grizzly bear  
19 wander through the area, but the project has had a  
20 very effective mitigation plan to date with no  
21 ongoing bear problems.

22 Muskox are not abundant but in the area in  
23 the higher ground, and of course the standout is  
24 our caribou, and they are of the Bathurst herd.  
25 Again, no threatened or endangered mammal species  
26 were encountered.

0114

1 The highlights are raptors and caribou.  
2 Raptors include rough legged hawks which prey  
3 primarily on cyclic lemmings and voles, and so the  
4 rough legged hawk numbers fluctuate in response to  
5 the abundance of lemmings and voles.

6 Peregrine falcons, golden eagle and gyrfalcon  
7 are also present but less abundant than rough  
8 legged hawks in a high lemming year.

9 That caribou shot is a shot of animals that  
10 were coming through from south to north, past the  
11 portal site and streaming through the area one late  
12 August afternoon and came through the area in a  
13 steady stream for about -- at least six hours.

14 Surveys on raptors were done in six years  
15 since 1995. There are 22 known raptor territories  
16 in the project area, but only a maximum of 11 of  
17 those territories have observed to be occupied in  
18 any given year, that was in 2000. There are two



19 sites located within a kilometre or two of the  
20 project that may be at risk of disturbance, but  
21 I'll point out later that we believe that they will  
22 be displaced rather than lost.

23 This is the distribution of raptor nest  
24 clusters, they range from the one seven or eight  
25 kilometres northeast to the ones close, close in.  
26 These around here are at the edge of the Willingham

0115

1 Hills, and I believe it is these two that are at  
2 risk of disturbance of the -- by project  
3 activities, and I think that they will probably --  
4 if they are disturbed too much, they will move to  
5 an unoccupied territory rather than leave the area.  
6 That cluster there is usually occupied by a rough  
7 legged hawk. It is, as you can see, immediately  
8 over the winter road, but road activities will have  
9 been finished by the time the hawks return in late  
10 May, and so I don't think that site will -- is at  
11 risk of disturbance.

12 Here is a shot of animals that came right  
13 past, actually. They are covering the road between  
14 camp and the airstrip. They were moving through  
15 the area from north to south in early July 2000,  
16 and the next series of slides will show the  
17 distribution of telemetry data showing the Bathurst  
18 herd between late 1996 and I think it is September  
19 2000 where the data was cut off.

20 The different colours are representative of  
21 the different years and the data set. We are  
22 dealing with spring migration data here, and you  
23 can see that the wave of migration, the Jericho  
24 project is on the margins of the migration to the  
25 calving ground, and the calving ground in this  
26 period has been primarily in there.

0116

1 Now, the data that was recorded by the camp  
2 personnel in the wildlife log reflect this  
3 distribution very well. And in April, animals  
4 started moving through the caribou Carat camp area  
5 in small numbers in early May. The groups were in  
6 the 10s to 20s or greater, falling off very rapidly  
7 in -- after mid-May when virtually no animals were  
8 coming through during the spring migration period.

9 The calving period, there is virtually no  
10 animals around the Jericho project, but they show  
11 up just north of there, perhaps, at Cathawichaga  
12 Lake and just west of Cathawichaga Lake, and that  
13 shows the distribution of the herd through most of  
14 June in the '96 to 2000 period.

15 The postcalving period lasts from late June  
16 through late July, and we start seeing a maximum  
17 distribution of the summer herd again, and it is in  
18 this period that we can see dramatic movements of  
19 caribou through the project area, and these mass

20 movements of caribou last a very short time, a  
21 matter of hours to perhaps a half a day, and they  
22 can come from south to north or from north to south  
23 and then they are gone again. But the EIS does  
24 make the point that caribou have to be expected at  
25 any time during this period.

26 Late summer would include August and most of

0117

1 September. Again, I believe in early August, as  
2 the shot of the animals earlier showed, we have to  
3 expect animals in the project area. But as the  
4 next slide shows, fall migration and rut, all of  
5 the animals in the herd are well -- have moved  
6 through and, in fact, most of them are in the  
7 Northwest Territories across the border with no  
8 animals lingering in the project area, and I -- it  
9 is highly unlikely that the project would encounter  
10 animals during fall migration and rut.

11 And early winter, November and December, we  
12 are starting to see the distribution that will not  
13 change very much until spring migration.

14 All of the data that provided the previous  
15 maps were boiled down to calculate what is the  
16 average annual daily movement of caribou in the  
17 Bathurst herd during the seasons of the year. And  
18 the heavy red line shows the average daily movement  
19 of these collared female caribou over the course of  
20 the year.

21 The green triangles are the maximum  
22 individual movement that was provided by telemetry  
23 data, and the black diamond is the minimum  
24 individual movement by any individual caribou.

25 The reason I put this up, and the reason why  
26 it is important is it shows that in the periods

0118

1 that the animals are likely to be in the --  
2 encountered by the project, the spring migration  
3 when everything is frozen up and they are moving  
4 more or less in a straight line following each  
5 other to the calving grounds and postcalving period  
6 and late summer, these animals are moving in the  
7 order of 10 to 15 kilometres per day.

8 So while an animal may be past the project,  
9 there won't be very much opportunity for a  
10 significant negative interaction because the animal  
11 is there for a very, very short period of time, ten  
12 minutes, and then the animal might have passed from  
13 one extreme edge of the project through to the  
14 other extreme.

15 In 1996, it happened that on the -- I think  
16 it was the 30th of June, the airstrip was under  
17 construction, and a large group of animals came in  
18 and they decided to stay for a while. They fed for  
19 a while, they bedded down, and everything shut down  
20 because it was impossible to move, construction had

21 to stop. The caribou were in control, and  
22 mid-morning the following day they were all gone  
23 like ghosts on the tundra, the herd of tens of  
24 thousands of animals had vanished.

25 And so these are the interactions that the  
26 project must be prepared for, but as I said, I

0119

1 think the opportunity for significant interactions  
2 are very -- are very brief. And so the opportunity  
3 for dislocating the caribou are minimal, and the  
4 opportunity for dislocating the project on an  
5 ongoing basis is minimal as well.

6 So when caribou are coming through an area in  
7 these numbers during the snow-free period, they  
8 leave trails, and here is a picture of an area just  
9 north and -- sorry, east of camp, in the highlands  
10 east of camp of caribou trails that have been used  
11 over and over and over again by animals passing  
12 around that part of Contwoyto Lake. To see how  
13 these caribou trails fit in relation to the  
14 project, we mapped trail densities, and areas like  
15 that and that and that where we have red --  
16 encountered red trails, we have got more than one  
17 trail for every two metres. So every time you take  
18 a step across the land, you are crossing -- every  
19 time you take two steps you are crossing a caribou  
20 trail. The density is very, very high.

21 The mid-green shade is lesser density, and  
22 the -- or the dark-green shade is medium density  
23 and the mid-green shade is lighter density with  
24 these areas in white having very, very few trails.  
25 And so the pattern of trail density shows us the  
26 pattern of movement that we should expect coming --

0120

1 of caribou coming through the area, and these  
2 really are a reflection of the topography.

3 Animals coming from the west and the south  
4 would probably be crossing just above Carat Lake  
5 there which reflects this trail and follow through  
6 the project area and move up there or move into the  
7 gap towards Contwoyto Lake.

8 Animals moving from the north past the  
9 airstrip would be deflected by Carat Lake and go  
10 through that area, and so we see this lake shore  
11 trail complex and the complex that would come just  
12 east of the airstrip. And so when we superimpose  
13 the trails on the infrastructure plan, we show that  
14 there is going opportunity for being -- moving  
15 through the area around the project facilities and  
16 that there really is limited opportunity in the  
17 project for a barrier to migration.

18 The interactions of a more permanent nature,  
19 site development and waste rock cover, will take up  
20 220 hectares of land. This cover will be placed in  
21 winter so the nesting birds will not be affected,

22 but up to the area required for 400 breeding  
23 territories of small ground nesting birds will be  
24 displaced. Similarly, the same area will be  
25 displaced in terms of small mammal habitat,  
26 particularly lemmings and voles.

0121

1 As I mentioned earlier too, raptor  
2 territories are at risk of disturbance and may be  
3 displaced to vacant territories in the area. And  
4 caribou are expected to migrate through the project  
5 area in spring and in late June through early  
6 August.

7 Here I have got some shots of interactions of  
8 caribou. This was taken in late June, early July  
9 at Lupin. There is a herd of primarily bulls and  
10 yearlings still on migration north, and here they  
11 are crossing with water line and the road parallel  
12 to the water line at Lupin.

13 Here is the shot at Carat camp, it is the  
14 same herd you saw earlier. Here they are, I don't  
15 know if they are going to overtake the pickup truck  
16 or stall it out or pass it, but they didn't seem to  
17 be bothered by the pickup truck on the road between  
18 camp and the portal.

19 And you can see when something, caribou like  
20 that move into an area that there is no point  
21 fighting it, the caribou are here, they are going  
22 to do what they want, and you may as well park your  
23 truck and enjoy the sight.

24 Here is another shot of caribou between Lupin  
25 and the Contwoyto Lake close to the marina there.  
26 On this particular occasion, there were perhaps

0122

1 2500 caribou that were feeding and resting there  
2 for much of the afternoon, and the next morning  
3 they were all gone and moved on. This was June,  
4 July, 1999.

5 We have examined the opportunity for  
6 cumulative effects, and we don't think that there  
7 are any affects that are likely from other projects  
8 on wildlife in the project area. Similarly, we  
9 don't think there are projects, cumulative effects  
10 on other projects from nonmigratory wildlife. So  
11 the project area is not in an area that is affected  
12 by the activities of other projects in Nunavut or  
13 the Northwest Territories.

14 Potential cumulative effects on the local  
15 animals: There is, however, potential for  
16 cumulative effect on the Bathurst caribou herd, and  
17 this pertains primarily to hunting, as is shown on  
18 the next -- on this slide. This shows the lands  
19 that are primarily taken up by the range of the  
20 Bathurst caribou herd. The mining projects, that's  
21 the Jericho project, this is the former Lupin mine,  
22 it has been closed now for a while. This is the

23 location for a prospective mine at Izok Lake. The  
24 whole project is on hold at the moment. This is  
25 Ekati mine and Diavik Mine and Snap Lake, a  
26 proposed future mine.

0123

1 All of the red caribou symbols are locations  
2 for outfitting camps, and each one of them is  
3 located in an area that is optimum for that  
4 operation to hunt caribou primarily in August and  
5 September. And so the combination of interactions  
6 with mining activities, while not intended or  
7 directly -- intended to directly cause mortality,  
8 we know that hunting camps are intended to cause  
9 mortality, and so I think it is prudent for all the  
10 parties on the Bathurst caribou range to monitor  
11 their activities and the effect of their activities  
12 in relation to the welfare of the herd.

13 Potential wildlife interactions and related  
14 mitigation: Wolverines and grizzly bears are  
15 potential scavengers at the site. I think the --  
16 Tahera has demonstrated that they can have an  
17 effective mitigation plan for scavenging by  
18 incineration as well as electric fence. There has  
19 been an electric fence at the site. And with a  
20 project with numerous people on site, we are  
21 recommending an effective bear alert system that  
22 everyone knows through radios and communications  
23 that there is a bear in camp.

24 Disturbing raptor sites, I think it is  
25 important to have staff aware of where raptor sites  
26 are and restrict access to them.

0124

1 Road and airstrip traffic, we have seen that  
2 caribou must be expected through the area and that  
3 they will take the right-of-way. Traffic needs to  
4 be suspended in certain cases, and roads will have  
5 grated ramps to ease crossing by caribou at the  
6 strategic locations.

7 A concern was raised over access by caribou  
8 to the pit, and I think it may be prudent to  
9 establish barriers, although as the graph showed,  
10 caribou moving through the area can get around the  
11 project facilities easily without being forced near  
12 the pit.

13 Long Lake access, concern has been raised  
14 over access to contaminated water. Again, the same  
15 principle applies, while there may be a risk of  
16 caribou coming in contact and perhaps ingesting  
17 contaminated water, the opportunity for that will  
18 be very brief because caribou are not expected to  
19 hang around the area for any prolonged period of  
20 time. The business of hunting, the project will  
21 not facilitate hunting, and no hunting by project  
22 personnel will be permitted, and I believe there  
23 will be a no-firearms-by-staff policy in effect.

24           The monitoring program, all wildlife  
25 encounters and responses by project staff should be  
26 reported and recorded, and the project should

0125

1 collaborate with other stakeholders, both industry,  
2 community and government in a caribou telemetry  
3 program. That has been a standing offer, I  
4 believe, with -- between Tahera and the Nunavut  
5 government, and we hope that with collaboration of  
6 other stakeholders in the region that it will  
7 happen.

8           In summary, 220 hectares of ground nesting  
9 and small habitat, mammal habitat will be lost.  
10 Raptor nesting may be displaced, but we don't  
11 believe raptor nesting will be lost. And the  
12 Bathurst caribou herd will migrate through the  
13 project area, and we have to be prepared for that.  
14 Thank you very much.

15 MR. MISSAL:                   Madam Chair, next I would  
16 like to move on to abandonment and reclamation  
17 presentation which will be even by Court Smith of  
18 Nuna Logistics.

19           And I would just like to mention briefly that  
20 Nuna Logistics is considered the preferred mining  
21 contractor for the project. Nuna has been working  
22 very closely with Tahera in developing many of the  
23 reports and studies that have been submitted to  
24 NIRB, and also our feasibility study. They are the  
25 ones who prepared our abandonment and restoration  
26 estimate. And Court is going to briefly talk about

0126

1 some the Nuna's experience with the work they do.

2           But just a couple words about Court, he is a  
3 vice-president with Nuna Logistics, he is a  
4 professional engineer. He has 20 years' experience  
5 in the mining industry related to projects in  
6 Canada, the USA and Chili. He worked at Lupin for  
7 eight years beginning at start-up and in a number  
8 of other roles, and he is presently responsible for  
9 Nuna's business development and in-house  
10 engineering and project costing. So with that, I  
11 will let Court start his presentation once I get it  
12 pulled up.

13 MR. SMITH:                   Thank you, Madam Chair and  
14 Board members for the opportunity to speak today.

15           I will very briefly give an introduction to  
16 Nuna Logistics. Nuna Logistics is a federally  
17 registered company. It started in 1993, it is 51  
18 percent owned by Kitikmeot Corporation and Nunasi  
19 Corporation, with the remainder owned by the  
20 management group. We specialize in northern  
21 Canadian operations north of Yellowknife in Nunavut  
22 and the Northwest Territories. We focus on  
23 contract mining, earthworks construction, all  
24 relating to the mining industry, dam and dike

25 construction, we do all that type of work. Winter  
26 and all-weather roads, site services, crushing and

0127

1 logistics support.

2 We have experience with most of the mining  
3 operations that have operated in the north right  
4 from the early days at Ekati and Diavik. We  
5 prepare the winter road that runs to Lupin each  
6 year. We have done some small site service work at  
7 Lupin, and we did some work developing the site at  
8 Snap Lake.

9 In terms of our work with Tahera, we assisted  
10 in the field in the early stages of exploration,  
11 and we provided site development and open-pit  
12 mining cost estimates at various stages through the  
13 study work, and we prepared the reclamation cost  
14 estimate.

15 I would like to point out a site that -- the  
16 Misery site at Ekati, and the reason I am pointing  
17 it out is it is very similar to what Jericho might  
18 look like in size, and it is part of BHP Billiton's  
19 Ekati mine, and it is a satellite location about 30  
20 kilometres from the Ekati site, so it is not an  
21 integral part of that site. Nuna Logistics  
22 developed and operates the Misery site.

23 This gives a picture of what it looks like,  
24 and I think the point that I am making here is that  
25 the scale is quite a bit smaller than a lot of the  
26 mine sites that people are familiar with nowadays

0128

1 in the north.

2 The Misery site has about a 160-person camp,  
3 a shop facility, a very basic shop facility and a  
4 laydown area, and you can see the staged waste dump  
5 in the background there that shows sort of a new  
6 approach. Okay, that might work -- that shows a  
7 relatively new approach to building the waste dump  
8 with reclamation in mind. In other words, if you  
9 build it with the steps, then when it comes time to  
10 doze it, you are actually creating less work during  
11 your reclamation program.

12 This is the same site from a different angle  
13 in the wintertime. This is the Misery pit. In  
14 comparison to what Jericho would look like, this  
15 pit is quite a bit larger in diameter and slightly  
16 not quite as deep as Jericho will be, so the  
17 footprint that you are seeing here is quite a bit  
18 larger than what is anticipated at Jericho in terms  
19 of the pit size.

20 This is another view that shows the entire  
21 disturbance area, actually, including the site in  
22 the background and the pit. And as you can  
23 imagine, it would be about this size relating to  
24 the Jericho one and then the waste dumps, and then  
25 these are some dams that we have built as well.

26 And this is the typical mining operation as it

0129

1 would go forward.

2 In terms of abandonment and reclamation, the  
3 estimate was prepared by Nuna Logistics, and it was  
4 based on, of course, Nuna Logistics being the  
5 contractor doing the work. We based the estimate  
6 on Tahera's quantities and scope of work. However,  
7 what we normally do is we check for reasonableness  
8 that the quantities has a double check, and then we  
9 also take a look at the scope and make sure that it  
10 includes all the bits and pieces that are needed to  
11 do the work.

12 The assumptions are that the surface  
13 facilities such as the camp and the office complex  
14 and the dry and the shop are Nuna owned and  
15 operated.

16 The waste dumps would be reclaimed before  
17 closure, but the costs are included when we made up  
18 the estimate, so the idea is that once it reverted  
19 to underground mining, the waste dumps would be  
20 completed and, therefore, they could be reclaimed.  
21 The assumptions were as follows, on the waste  
22 dumps, they would be -- the edges would be sloped,  
23 and there would be -- some of the overburden that  
24 was stripped off would be reclaimed and placed on  
25 the upper bench.

26 In the processed kimberlite containment area,

0130

1 there is a liner contingency included, the east  
2 cell was reclaimed just before closure, so at the  
3 very final end of operations, and the west cell  
4 would be reclaimed after processing was completed.  
5 The coarse processed kimberlite cover would be  
6 overlain with overburden. In terms of pads, the  
7 edges would be dozed and the surface scarified to  
8 bring it to a more natural state.

9 The roads, the edges would be dozed and the  
10 surface scarified. The rejects dump similar, the  
11 upper bench would be covered with overburden as  
12 well. The low-grade stockpile, the edges would be  
13 dozed and the upper bench covered. And the  
14 facilities, almost all of the facilities would  
15 actually be disassembled and removed to another  
16 location, so they wouldn't be -- it is not like  
17 they would be cut up and disposed of on site, most  
18 of those facilities would be useful for other  
19 projects down the road.

20 The equipment that would be used in  
21 reclamation would be a fleet similar to what we use  
22 in the mining work, which would be 100-tonne trucks  
23 with matching loaders and dozers and a crane and a  
24 grader. And we would need to use the facilities  
25 that would be on site, the camp and the shop and  
26 the fuel tanks and the generators, during the



0131

1 reclamation effort.  
2 The estimate that we calculated was split  
3 into the amounts that is on Crown lands and the  
4 amount that is on Inuit-owned lands, and the total  
5 is about \$7.2 million as far as the estimate goes.  
6 This is a bit of a breakdown of the estimate. Of  
7 course, it was developed with quite a bit more  
8 detail than this. Mob. and demob. is 300,000, and  
9 then it goes down the list, the big items being the  
10 facilities and getting them torn down.  
11 We have also -- a big number is the processed  
12 kimberlite containment and those types of areas.  
13 Transport, like I said, we are moving the  
14 facilities and the equipment south, and that is a  
15 fairly big number, and we have included overheads  
16 relating to Nuna Logistics and then also a  
17 contingency for a total.  
18 That concludes my presentation, thank you.  
19 MR. MISSAL: Thanks very much, Court.  
20 Madam Chair, next I would like to call on Bruce Ott  
21 to speak briefly about some of the revegetation  
22 efforts that we will be conducting at the site.  
23 MR. OTT: Thank you, Greg. Madam  
24 Chair and Board members, I am going to speak  
25 briefly about what we are proposing for  
26 revegetation at the site. The key really is that a

0132

1 lot of experimentation will be required at the  
2 site, but efforts will be solidly based on existing  
3 information. Revegetation and experience will be  
4 shared with NWT diamond mines, specifically Ekati  
5 which has been at the process for several years,  
6 and we would expect to draw on their experience.  
7 Ekati has been very forthcoming with all of  
8 the mine operators and the potential mine operators  
9 in NWT and us with respect to what their -- what  
10 their experience has been.  
11 The key points are that reclamation trials  
12 will be conducted during operation, and the plan is  
13 to concentrate on flat areas with mesic soils.  
14 Mesic soils are those that are not super wet and  
15 not super dry. And most effort will be put on the  
16 PKCA. Based on Ekati's experience, Ekati has had  
17 very limited success in establishing vegetation  
18 anywhere except on their processed kimberlite  
19 containment.  
20 There are significant areas of rocky tundra  
21 at Jericho naturally. This is the end of Long  
22 Lake, and we have one other shot, I think, that's  
23 in there. You can get a fairly good idea from  
24 these pictures that there is a lot of rock. And in  
25 the last 10,000 years, not much has grown on the  
26 rock except lichen. So we wouldn't want to try to

0133

1 improve upon what God has been doing up there.  
2 The EIS was based on 30 years of published  
3 research, and in the supplemental work, we have  
4 added more details from Ekati's experience.  
5 The conclusions after review of the recent  
6 Ekati information remained essentially unchanged.  
7 It is difficult or impossible to establish  
8 vegetation in the tundra, and in the absence of  
9 guidance from landowners regarding the use of  
10 agronomics, which are a cult of ours, rip rap is  
11 about the only alternative for short-term erosion  
12 control.  
13 Arctic plants generally don't grow very fast.  
14 In a summary, obstacles to revegetating mine sites  
15 in the arctic are very large. As a matter of fact,  
16 I believe that from my information, before Ekati  
17 started their pioneering work, nobody tried to --  
18 or had been very successful at all in growing  
19 vegetation at a mine site.  
20 Finally, Tahera is committed to explore  
21 practical approaches to achieve long-term  
22 revegetation success at the mine site.  
23 Thank you, that's all I had on that  
24 presentation.  
25 MR. MISSAL: Thanks very much, Bruce.  
26 Our next presentation is going to be from Robert

0134

1 Hornal, and it will be regarding socioeconomics for  
2 the project.  
3 I just have a few very short words to say  
4 about Robert. Robert is the principal of Robert  
5 Hornal & Associates Limited. He has 45 years of  
6 experience in resource management, environmental  
7 and socioeconomic assessment, land claim  
8 administration, land use planning and government  
9 and regulatory affairs. He is no stranger to the  
10 Kitikmeot region having visited first in 1960, and  
11 since that time, he has conducted a great deal of  
12 ground work in the area over the west Kitikmeot.  
13 He has visited most of the Kitikmeot communities,  
14 if not all of them, to discuss resource  
15 developments and has served on the original west  
16 Kitikmeot land use planning team. So with that, I  
17 will let Robert tell us about his presentation.  
18 CHAIRPERSON: Before you talk, I would  
19 like to welcome the Cambridge Bay high school  
20 students sitting in the back, and the elders that  
21 have come in. If you have any questions at any  
22 time, feel free to come up and ask questions.  
23 Thank you.  
24 MR. HORNAL: Thank you, Madam Chairman  
25 and members of the panel. I am going to talk to  
26 you about the socioeconomic impact assessment and

0135

1 the -- a few words about the Inuit Impact and  
2 Benefits Agreement that has been recently  
3 negotiated between Tahera and the KIA.  
4 For the socioeconomic impact assessment  
5 itself, we can collect statistical data from all  
6 the Kitikmeot communities using studies done by  
7 Census Canada, Statistics Canada, the territorial  
8 government, and data collected by Helen Tolganik  
9 of Cambridge Bay for our work. We reviewed all of  
10 the notes of the visits made by Tahera and its  
11 predecessors to the Kitikmeot communities from 1996  
12 to the present.  
13 We reviewed Tahera's project description, and  
14 we attempted to assess the economic consequences of  
15 this development using a model that was developed  
16 for the Diavik assessment process.  
17 We must all remember this -- the Jericho  
18 project is a small mining project. It will  
19 generate an average of 97 person years of  
20 employment for nine years. The total work force  
21 will vary from 179 to 57 in any one year.  
22 Here is the work force by year from year one  
23 to year nine. The first four years you will recall  
24 there is open-pit mining, the next two years there  
25 is underground mining, and in the last two years  
26 there will only be work at the processing plant.

0136

1 The first year in this slide represents the year of  
2 construction.  
3 The modelling we did suggested that 36  
4 percent of the construction costs will be spent in  
5 the north and 43 percent of the operating costs  
6 will be spent in the north; however, 65 percent of  
7 the salary dollars will probably go to Northerners.  
8 Here is a slide of the construction costs.  
9 It shows that about 20 million dollars will be  
10 spent in the north, about 8 million in South Africa  
11 where the processing plant is to be built, and the  
12 rest, 27 million or so, in the rest of Canada.  
13 The next slide shows the operating costs for  
14 the third year of operation, which is probably  
15 going to be the busiest, and it is split roughly  
16 half and half between the northern -- the north and  
17 the rest of Canada with a few dollars going to,  
18 again, South Africa.  
19 Why is it important that we do a  
20 socioeconomic analysis? Well, what we have heard  
21 over the years that we have been analyzing this  
22 problem is that Kitikmeot residents want  
23 improvements to the quality of life, to the  
24 creation of jobs, long-term employment, training  
25 and educational opportunities, business  
26 opportunities and improved community well-being.

0137

1 However, these improvements must come with no loss

2 to the land and resources that have sustained the  
3 communities over time.  
4 When we looked at our analysis, we could  
5 easily identify certain benefits to the Kitikmeot  
6 region. There will be jobs for Kitikmeot  
7 residents, there is will be training opportunities  
8 and educational opportunities. There will be  
9 contracts for Kitikmeot firms, and there will be  
10 other matters to be decided by the Inuit Impact  
11 Benefits Agreement.  
12 In our assessment of the impacts of this  
13 project, we determined that the impacts of  
14 employment would be moderately positive on the  
15 region. The impacts of training would be  
16 moderately positive, similarly with business  
17 opportunities, the impacts will be moderately  
18 positive, and all of those we have great certainty  
19 in.  
20 We looked at the community health, the issue  
21 of community health. In that phrase I include  
22 things like family stress, personal health,  
23 individual security, things of this nature, and we  
24 concluded that there would be impacts on the  
25 community, on community health by this project  
26 which had the potential to be moderately positive

0138

1 or moderately negative, and I think it depends on  
2 the monitoring program that's put in place, which  
3 we will talk about in a next few minutes, whether  
4 it is positive or negative.  
5 The project will have a moderately negative  
6 impact on crime, i.e., there will be more crime, I  
7 suspect, as a result of cash that is added to the  
8 community as a result of this project. But we  
9 predicted no impact at all on the demographics of  
10 the community as a result of this project.  
11 There is some suggestion made that there  
12 might be immigration, but it is our belief that  
13 that is unlikely due to the short nature --  
14 short-term nature of the jobs that are being  
15 created, six to eight or nine years, and due to the  
16 fact that I don't think anyone from the south will  
17 move north for that -- for this project, and I  
18 suspect there will be enough people within the  
19 Kitikmeot to fill the jobs that are available  
20 without importing people from the Baffin or  
21 Kivalliq regions.  
22 When considering socioeconomic matters,  
23 Tahera has made a number of commitments. It will  
24 strive to reach a goal of 60 percent Inuit  
25 employment within five years at the project; it  
26 will encourage its contractors to meet the same

0139

1 Inuit employment goals; it will transport Inuit  
2 employees directly from their home communities to

3 the mine site; and most important, it will set up a  
4 monitoring committee to work with the communities  
5 to mitigate negative impacts and maximize positive  
6 impacts.

7 I'm just going to say a couple of words about  
8 the Inuit Impact Benefit Agreement. As you know,  
9 it is required under the Nunavut Land Claim  
10 Agreement. And negotiations have been conducted  
11 between Tahera and the KIA-appointed negotiating  
12 committee. They announced the agreement in  
13 principle for the IIBA in early December. The  
14 agreement in principle has apparently been approved  
15 by the KIA board of directors, and the KIA will be  
16 presenting the IIBA to Kitikmeot communities over  
17 the next few weeks.

18 There is some general provisions that are  
19 known about the IIBA as a result of the press  
20 announcements that have been made. The IIBA  
21 commits Tahera to training, education, employment  
22 and business opportunities. It provides  
23 compensation for implementation of the agreement  
24 for land access and for the potential impact on  
25 Inuit water rights. And it establishes an  
26 implementation committee to make certain that the

0140

1 provisions of the IIBA are carried out.

2 In summary then, the Jericho Diamond Project  
3 will impact the Kitikmeot communities, but with the  
4 proposed mitigative measures and the IIBA, these  
5 impacts will likely to be positive and there will  
6 be in place mechanisms to monitor and adjust to  
7 these impacts. Thank you.

8 MR. MISSAL: Thank you, Robert. Madam  
9 Chair, I would now like to call on Bruce Ott once  
10 more for the last time to give us a summary  
11 presentation on the monitoring.

12 MR. OTT: Thanks, Greg, Madam Chair,  
13 Board members. We have heard quite a bit about  
14 monitoring that's going to be carried on throughout  
15 the life of the project and after closure, and we  
16 felt it would be useful for the Board and the  
17 audience to have a brief summary. So I am going to  
18 go fairly quickly through these slides, because it  
19 is all review.

20 First off, Tahera would plan to use  
21 traditional knowledge in monitoring and cooperate  
22 with communities. Because the traditional  
23 knowledge as you have probably -- most people are  
24 probably aware is owned by the communities, and so  
25 that their permission to use the traditional  
26 knowledge would have to be given, so they will

0141

1 likely also want to supervise any use of the  
2 traditional knowledge to make sure that it is used  
3 in the way intended.

4 The operators will collect reliable  
5 information that will allow detection of the change  
6 in aquatic biota and terrestrial biota caused by  
7 the project and test their predictions of project  
8 impacts that closes the loop on the impact  
9 assessment.  
10 The focus will be on components that are good  
11 indicators. Accepted sample design and methods  
12 will be used and sufficient effort will be invested  
13 to detect change.  
14 For geotech, dam stability needs to be done  
15 on an annual basis. C1 diversion, and C4 refers to  
16 the clean water ditches, and the waste dumps and  
17 the stockpiles will all have a professional geotech  
18 engineering consultant independent of the company  
19 or the mine operators to perform that assessment.  
20 A report is provided to the lease -- to INAC and to  
21 KIA who will provide leases, land leases to the  
22 operator.  
23 Mine waste discharge, the monitor all mine  
24 waste management facilities, which Kelly and Cam  
25 talked about this morning, that would include  
26 seeps, groundwater and the effluent.

0142

1 In response to comments from reviewers, water  
2 quality program will be expanded, there will be a  
3 water quality site or sites downstream of -- on the  
4 Jericho River on Inuit-owned lands. A second  
5 control site in an adjacent drainage basin will be  
6 added, and C3 and Carat Lake oxygen will be  
7 monitored prior to mine discharges as requested by  
8 Environment Canada.  
9 This map just provides an overview of where  
10 the sites are. If somebody is particularly  
11 interested, we can go over that later. I don't  
12 want to spend a lot of time on this right now other  
13 than to indicate that the upstream second control  
14 site is there, the first control site is there,  
15 outlet from the PKCA, Lake C3, Carat Lake, Jericho  
16 Lake and then downstream on IOL lands.  
17 Aquatic effects monitoring, Rick Pattenden  
18 talked about that this morning and indicated they  
19 would -- we would be monitoring nutrient loading,  
20 sediment and contaminants, and the components are  
21 called sedimentation, periphyton, phytoplankton,  
22 zooplankton, benthic invertebrates and fish.  
23 For air quality, there would be active  
24 monitoring of PM10 and 2.5 at the mine site. Sites  
25 to be established in consultation with regulators  
26 and indirect assessment of metals loading and

0143

1 effects of dust through sampling of lichen and  
2 transects at right angles of dust sources.  
3 Wildlife, Ben has just finished talking about  
4 this. We would work cooperatively on any

5 monitoring programs specifically with respect to  
6 cumulative effects on the Bathurst caribou herd.  
7 Likely raptors, raptor nesting success since there  
8 is some potential for interaction with the project,  
9 and of course there would be a record and report of  
10 wildlife events and responses.

11 Turning now to postclosure monitoring, the  
12 performance of the PKCA and other waste structures  
13 would be monitored, water quality would be  
14 monitored and reclamation success would also be  
15 monitored.

16 That, in summary, is an overview of the  
17 monitoring that is proposed for the Jericho  
18 project. Thank you.

19 MR. MISSAL: Madam Clair, this brings  
20 us to the point I'm sure everybody is looking  
21 forward to is the conclusion to our presentation.  
22 As I had said earlier, it is quite long, but, I  
23 think, full of information that will hopefully be  
24 useful to everyone.

25 In terms of a conclusion and summary, I had  
26 mentioned earlier this morning that our focus was

0144

1 on meeting the requirements of 12.5.5 of the  
2 Nunavut Land Claim Agreement, and I just briefly  
3 want to touch on those items again and make  
4 reference to areas in the documentation where we  
5 feel we have addressed those points in terms of  
6 (a), we feel we have fulfilled that and with  
7 information contained in the final EIS and the  
8 socioeconomic section, in the similar section in  
9 the supplemental as well as through the public  
10 hearing presentation and through the development of  
11 an IIBA.

12 In terms of 12.5.5(b), we do not feel that  
13 the project would unduly prejudice the ecosystemic  
14 integrity of the Nunavut settlement area. There is  
15 a very long list of areas where we feel we have  
16 addressed that in the final EIS, in the  
17 supplemental reports and, again, through the final  
18 hearing.

19 Point (c), whether the proposal reflects the  
20 priorities and values of the residents of the  
21 Nunavut settlement area, we feel we have fulfilled  
22 this through the final EIS, through the prehearings  
23 which were conducted, subsequent community meetings  
24 as well as the public hearing process through the  
25 socioeconomic section.

26 Part (d), steps which the proponent proposes

0145

1 to take to avoid mitigated adverse impacts.  
2 Again, a very long list of how we intend to do  
3 that. That information has been supplied in detail  
4 in the final EIS and supplemental reports as well  
5 as information received here today.

6 Point (e), steps the proponent proposes to  
7 take or that should be taken to compensate  
8 interests adversely affected by the project.  
9 Again, the socioeconomic effects report in the  
10 final EIS outlines that, as well as the information  
11 in supplemental, and a great deal through the  
12 public hearings this week and through the IIBA  
13 which will be disclosed more fully in the near  
14 future.

15 The posting of performance bonds.  
16 Obviously, bonding is a very important issue in any  
17 mining-related project, and we will work with  
18 Indian and Northern Affairs, the Nunavut Water  
19 Board and the KIA in establishing those bonds.

20 Point (g), the monitoring program that the  
21 proponent proposes to establish or that should be  
22 established for ecosystemic and socioeconomic  
23 impacts. We believe that we have strong monitoring  
24 programs that we have proposed which have been  
25 presented in the final EIS and supplemental  
26 information and through the process of the hearings

0146

1 this week.

2 And finally (h), steps which the proponent  
3 proposes to take that should be taken to restore  
4 the ecosystemic integrity following the project  
5 abandonment and, again, through our abandonment  
6 reclamation plan in the management section of the  
7 final EIS and the reclamation plan section as well  
8 as additional information supplied in the  
9 supplemental report and the information you have  
10 heard here today.

11 I thought it would be useful if we could very  
12 quickly have a look at what Tahera's proposed  
13 schedule is right now. As it stands today,  
14 obviously we submitted the final EIS in January of  
15 2003, the date, I apologize didn't get changed from  
16 the December date there, but obviously we are in  
17 January 2004 now. A NIRB decision -- we are  
18 hopeful that a NIRB decision would come as quickly  
19 as possible so that that could be forwarded to the  
20 Minister for Indian and Northern Affairs.

21 We are hopeful, based on the amount of time  
22 that the Minister took to approve the Snap Lake  
23 project, that we would be getting some word from  
24 that office perhaps by April of this year. And  
25 then following that, of course, we would move into  
26 the permitting process, both land and water

0147

1 permitting.

2 In order for us to utilize the 2005 winter  
3 road, which is the road a year from now which is  
4 the winter road built annually from Yellowknife  
5 north, we need to start ordering some of our  
6 equipment and supplies probably by July or August



7 of 2004, and the main component in that is the  
8 processing plant, which as Robert Hornal referred  
9 to, is a piece of equipment which we are going to  
10 be purchasing most likely from a company in South  
11 Africa that specializes in diamond mine processing  
12 plants. And in order for us to order that piece of  
13 equipment, have it built, have it shipped here and  
14 have it ready and sitting in Yellowknife to go on  
15 that 2005 winter road, we would need to order that  
16 obviously here in July or August of 2004. Do they have it  
ordered?

17 If we can achieve that, as I mentioned, we  
18 would be utilizing the winter road in 2005, which  
19 begins sometime late January and carries on  
20 generally for about 60 or 70 days. We don't need a  
21 lot of time to mobilize the number of loads that we  
22 need to send up. We have approximately 400 loads  
23 that would have to go up in that first year. Those  
24 400 loads could be sent in about a two-week time  
25 period. The people who organize the winter road  
26 have become very efficient at moving loads up that

0148

1 road annually, and so those 400 loads could be sent  
2 to the Jericho site very quickly.

3 Construction for the project that we are  
4 proposing to you here today would take  
5 approximately one year. We would begin putting  
6 kimberlite ore through that processing plant  
7 sometime late in 2005, and we would be into full  
8 production in early 2006.

9 I couldn't give this presentation without  
10 showing a picture of some of the diamonds that have  
11 been extracted from the Jericho kimberlite in our  
12 bulk sample. As you can see here, these are top  
13 notch, top quality diamonds, Nunavut diamonds.  
14 These diamonds are six diamonds that were a part of  
15 a package of 43 stones that we had cut to see how  
16 these stones would turn out once they were cut and  
17 polished, and as you can see by this picture here,  
18 they turned out extremely well.

19 The top diamond is worth mentioning, the top  
20 diamond in the triangle there. That's the diamond  
21 that the company gave to the people of Nunavut,  
22 which, in fact, is in place today in the mace that  
23 sits in the legislative building in Iqaluit. I  
24 believe that us giving that gesture shows our  
25 commitment to not only Nunavut but to this region  
26 and to the people of Nunavut and to the Kitikmeot.

0149

1 So I would like to leave it there. I would  
2 like to thank everyone for their attention during  
3 our presentation. It was long, but as I say, I  
4 think it was information filled. I would certainly  
5 invite any and all questions from the Board.

6 We have everyone here today that have their

7        respective areas to answer questions, and we look  
8        forward to working with you as we move through this  
9        week. Thank you very much.  
10       CHAIRPERSON:                Thank you, Greg. We will  
11       take a 15-minute coffee break and go on to  
12       questions from parties starting with NTI and so on,  
13       so we will take a 15-minute break. Thank you.  
14                                        (RECESSED AT 2:36 P.M.)  
15                                        (RECONVENED AT 3:00 P.M.)  
16       CHAIRPERSON:                Okay. Shall we start  
17       again? Before we continue, Bill, you have got a  
18       few things to say?  
19       MR. TILLEMAN:                Thank you, Madam Chair. As  
20       we begin or continue with the afternoon, there are  
21       just a couple of things that I could like to point  
22       out that would help the Board and the court  
23       reporter for the next phase of the hearing.  
24                We now begin the part of the hearing where  
25       the parties actually ask questions the Tahera, so  
26       this is not a chance for the parties to give their

0150

1       evidence, because that will happen tomorrow, but it  
2       is a chance for the parties to basically test the  
3       truth of what Tahera has just done. So in the  
4       order that the Chairperson had indicated earlier  
5       beginning with NTI, we will shortly have an  
6       opportunity for them to ask questions of the whole  
7       panel of Tahera. To do that, the parties have the  
8       option of using either microphone, either the one  
9       that's in the middle of the floor or the one that's  
10       up at the intervenor's table.  
11                I would suggest that the person whose  
12       evidence was given and is being questioned is the  
13       one who would answer the question, and probably  
14       through Mr. Missal, he can direct who that should  
15       go to and who is most appropriate to answer the  
16       particular question.  
17                Also, as a matter of just procedure, if you  
18       do come up, and we hope there are a lot of  
19       questions, if you could just state your name before  
20       you ask the question so the transcript later reads  
21       very clearly in terms of who is asking questions  
22       and who the question is asked of.  
23                And then finally, if the presenters, the  
24       Tahera people answering the question are referring  
25       to charts or overheads, which they no doubt will,  
26       if you could give a reference point for the court

0151

1       reporter in terms of where you are pointing. So  
2       instead of just saying that the Jericho River from  
3       top to bottom, at least identify the river and that  
4       you are pointing north or south. And if you point  
5       to specific portions the a map, indicate the  
6       reference point so that when we later get the  
7       transcript, it is easier for the Board to follow

8 what you are indicating on the wall, because the  
9 written record can't reflect what you point to with  
10 your red pointer on the wall.  
11 And, Madam Chair, those are my only thoughts  
12 in terms of clarification.  
13 CHAIRPERSON: Thank you, Bill. Shall we  
14 start with questions from NTI?  
15 MR. TILLEMAN: Madam Chair, as they are  
16 coming up -- I am sorry, Tahera had a question, but  
17 they are fine.  
18 MR. HAKONGAK: Thank you, Madam Chair.  
19 I'm George Hakongak, environmental coordinator for  
20 the NTI lands here in Cambridge Bay. And at this  
21 point NTI has no questions, thank you.  
22 CHAIRPERSON: Okay. GN, government of  
23 Nunavut? Anybody from government of Nunavut? No.  
24 Bill?  
25 MR. TILLEMAN: No, I was just saying if no  
26 one comes up, maybe we should pay money to people

0152

1 who ask questions. That was just a joke. Okay.  
2 Diamonds. That wasn't my joke, so --  
3 CHAIRPERSON: Department of Fisheries and  
4 Oceans?  
5 DEPARTMENT OF FISHERIES AND OCEANS QUESTIONS TAHERA  
6 CORPORATION:  
7 MS. CRITCH: Hi, Madam Chair. I just  
8 had a couple of questions. My name is Stephanie  
9 Critch, and I am with Fisheries and Oceans Canada.  
10 First, I wanted to ask for clarification on  
11 why Jericho -- sorry, why Tahera feels that the QUESTION  
12 intake pipe requires a causeway but one is not  
13 required for the diffuser? I'm not sure who  
14 exactly to address that question to.  
15 MR. MISSAL: It is Greg Missal with  
16 Tahera. Rick, can I ask you to address that?  
17 MR. PATTENDEN: Madam Chair, the causeway  
18 is being proposed by Tahera, (1) for protection of  
19 ice, but (2) for immediate access to the intake  
20 pipe in the event the a break during mine  
21 operation. The diffuser pipe, although it would  
22 need some protection from ice scour, doesn't need  
23 access postclosure, it will be a permanent  
24 structure, so I believe that's the rationale why  
25 there isn't a causeway over the diffuser pipe.  
26 Excuse me, the causeway is basically there to

0153

1 ensure immediate access in the case of an emergency ANSWER  
2 repair requirement. Does that answer your  
3 question?  
4 Q Well, is there not a chance that the diffuser will  
5 need emergency repair as well?  
6 MR. SCOTT: Cam Scott, SRK. I think  
7 one thing that needs to be clear is the diffuser is  
8 a contingency, that's the first thing. The second

9           thing is I don't know, have we shown the location  
10          exactly as to exactly where the diffuser will go?  
11          It is a general location. I think at this point it  
12          is a concept and details have to be identified as  
13          part of final design. I don't know if that answers  
14          the question, Madam Chair, but that's basically --  
15          it is still a concept.  
16        Q   So does that mean a causeway might be required as  
17             well for the diffuser?  
18        CHAIRPERSON:                   Does somebody have an  
19             answer?  
20        MR. MISSAL:                    It is Greg Missal with  
21          Tahera. I think, Stephanie, I think a causeway  
22          could be one thing that would be looked at for  
23          that; however, I think with the knowledge that we  
24          have here today, we don't feel that that probably  
25          would be required. I think working out the details  
26          of how that diffuser might be handled, if it were

0154

1          used, would be more of a detailed engineering  
2          issue, which, of course, we are not quite to that  
3          stage yet. But, of course, whatever we do with  
4          that, we would certainly involve DFO and make sure  
5          you are aware of that.  
6        Q   Okay. I have another question related to the  
7             diffuser. I am just curious as to whether the  
8             diffuser is proposed as an active or a gravity  
9             flow? Gravity?  
10       A   Again, it's Greg with Tahera. I am understanding  
11            it would be a gravity flow.  
12       Q   Okay. And I am wondering if you have a plan for  
13            storage of additional kimberlite finds if other  
14            identified kimberlite pipes in the area are  
15            developed?  
16       A   Greg Missal with Tahera. That concept is not part  
17            of this mine plan. If there were other economic  
18            kimberlites that were discovered and we came up  
19            with a method of somehow processing them at this  
20            site, that would be part of a totally different  
21            mine plan or a review process that we would have to  
22            go through, so that's not considered as part of  
23            this mine plan.  
24       Q   Okay. I was just thinking that that might be part  
25            of the cumulative effects assessment.  
26       A   I think if we reached that type of scenario, we

0155

1          would then have to consider that cumulative effect  
2          at that time, but, of course, that's purely  
3          speculative, so it is not part of this mine plan.  
4        MS. CRITCH:                    Okay. Madam Chair, those  
5          are all my questions. Julie Dahl of Fisheries and  
6          Oceans has some additional questions as well.  
7        MS. DAHL:                       Madam Chair, Board, my name  
8          is Julie Dahl. I'm with DFO in Yellowknife. I  
9          just have a couple more points of clarification I

10 was interested in seeking here.  
11 There was -- in one of the presentations,  
12 there was a discussion of the water management  
13 approach, there was a bit of a flow diagram that  
14 showed where the water flowed in various components  
15 on the site. I noticed in one location it noted  
16 that the spray irrigation source would be from the  
17 PKCA, and I was just wondering if that was intended  
18 to be the source or would the source be the  
19 settling pond?  
20 I guess the reason is that I would assume  
21 that the settling pond would be the -- as close to  
22 the discharge water quality as possible, and so  
23 that -- is there a possibility that that would be  
24 the source of your spray irrigation versus the PKCA  
25 water?  
26 MR. MISSAL: Madam Chair, I will let

0156

1 Pete McCreath respond to that question.  
2 MR. McCREATH: Pete McCreath, Clearwater  
3 Consultants. The thinking at the moment is that  
4 water going to a spray irrigation system would  
5 probably come from the PKCA, although it could also  
6 come from a settling pond, and it is going to be a  
7 function probably of suspended solids, total  
8 suspended solids.  
9 Q Does that mean that high suspended solids which  
10 would mean that it would be or would not be the  
11 choice of water?  
12 A One of the concepts for mitigation would be that if  
13 suspended solids is a problem within the PKCA,  
14 flocculents could be added there, and then the  
15 settling pond would be used to allow the  
16 flocculents to take effect and the suspended solids  
17 to settle out.  
18 If further treatment for metals or ammonia  
19 removal, for example, is required beyond that  
20 point, then the settling pond would become the  
21 source for the spray irrigation system.  
22 Q Okay. Thank you. Further to that, along the same  
23 line of thinking that I would assume that the  
24 settling pond water would be that water that would  
25 achieve a discharge water quality, you had talked  
26 about adding flocculents to the settling pond or to

0157

1 the PKCA, have you considered the optimum location  
2 to add the flocculents to ensure that your  
3 sediments or that your particulates are being  
4 reached as desired in the PKCA? Therefore, are you  
5 preferentially thinking of adding it to the PKCA  
6 and avoiding any further manipulation of water in  
7 the settling pond?  
8 A Flocculents would initially be added in the  
9 processing plant to encourage proper settling  
10 within the PKCA. If, in the freewater pond of the

11 PKCA, there remains a residual problem, settling  
12 has not been accomplished appropriately, additional  
13 flocculents could be added at the outlet to the  
14 PKCA to the settling pond, and then the settling  
15 pond would be operated as a polishing pond, if you  
16 like, to let that second round of flocculents take  
17 effect before final release to the stream.  
18 Q Okay. Thank you for the clarification. With  
19 respect to the spray irrigation, there was -- the  
20 point was made that chlorides were not expected to  
21 accumulate in the soils in the location of where  
22 the water would be sprayed. Will a monitoring  
23 program include monitoring for chlorides at the  
24 perimeter of Lake C3 where their overland flow is  
25 expected to enter the lake?  
26 MR. MISSAL: It is Greg Missal with

0158

1 Tahera Corporation. I think I would like to ask  
2 Andre Sobolewski to come forward and answer that  
3 question, please.  
4 MR. SOBOLEWSKI: Andre Sobolewski. A  
5 monitoring plan for water quality would monitor as  
6 water enters Lake C3. I don't know that chloride  
7 had been identified, but I see no reason why not as  
8 one of the constituents to monitor. The concern  
9 about chloride certainly does not impinge on any  
10 effects on aquatic organisms.  
11 Q Just to understand you correctly, do you mean that  
12 you are not anticipating chloride concentrations to  
13 be of a level to be of concern to aquatic organisms  
14 in Lake C3?  
15 MR. SOBOLEWSKI: That's correct.  
16 Q Okay. Thank you. In the discussion of the  
17 aquatics, there was a description of potential  
18 impacts due to the use of explosives. It was  
19 described that impacts were expected only in Stream  
20 C1 and in the near shore area of Carat Lake where  
21 Stream C1 enters into the lake. It was also  
22 concluded that only eggs would be impacted, and  
23 further only eggs of slimy sculpin would be  
24 impacted; however, I recall seeing in one document  
25 that showed Carat Lake, it had an identified known  
26 arctic char spawning area at the outlet of Stream

0159

1 C1 right in Carat Lake within the zone of where  
2 the -- that blasting zone would overlap. So I was  
3 just wondering why the conclusion that there would  
4 be no impact on arctic char eggs when there is a  
5 known arctic char spawning area in the vicinity?  
6 MR. MISSAL: Madam Chair, I would like  
7 to ask Rick Pattenden to address that question,  
8 please.  
9 MR. PATTENDEN: Rick Pattenden, Mainstream  
10 Aquatics. That's a very good question. In our  
11 assessment, we did identify arctic char fry in the

12 immediate vicinity that were potentially in the  
13 blast zone. But, as you know, arctic char spawn in  
14 the fall and over the winter, their eggs therefore  
15 -- the egg deposition has to be at such a depth to  
16 avoid ice scour and freezing. That ice formation  
17 zone is at about 1.5 metres which is -- I don't  
18 know the exact distance from shore, 10 to 20, 30  
19 metres offshore. That is outside the blast zone  
20 impact, so that's why we did not include the arctic  
21 char spawning site within the blast zone, because  
22 it would have to be outside that extend.  
23 Q Okay. Thank you. Further to that, could you just  
24 explain to me what the timing of your spring fish  
25 assessments were? In particular, for Stream C1 and  
26 the outlet of Carat Lake?

0160

1 A Rick Pattenden, Mainstream Aquatics. You are  
2 referring to when we were doing our sampling?  
3 Q Yes. The timing of the spring fish assessment in  
4 the spring.  
5 A Sampling occurred each spring during five years.  
6 The exact timing varied slightly each year, but  
7 basically it was very close to freshet conditions  
8 when the snow melt began and would continue on  
9 through to what you would refer to as early summer.  
10 So I think early to mid-spring basically.  
11 Q So the assessment was timed with the early onset of  
12 freshet?  
13 A Basically, yeah. That's not an absolute rule, but  
14 generally that's when it occurred. And it would  
15 continue on through the spring into early summer.  
16 Q Okay. Thank you. It is anticipated that the  
17 diversion for Stream C1 will go through a zone  
18 that's described as a rock area and then another  
19 zone described as a soil area. I noted in one of  
20 the presentations that the soil section of the  
21 diversion is expected to be lined with geotextile  
22 and then overlaid with rip rap in order to control  
23 erosion.  
24 Is there any other mitigation that is being  
25 proposed to control the sediment that is expected  
26 during -- essentially during the initial flushing

0161

1 of the diversion and that sediment entering Carat  
2 Lake, is there any mitigation proposed for that  
3 initial flushing?  
4 MR. MISSAL: Madam Chair, it is Greg  
5 Missal with Tahera. I would ask Cam Scott of SRK  
6 to address that question.  
7 MR. SCOTT: Cam Scott, SRK. Madam  
8 Chairman, the only other element of mitigation  
9 would be selection of relatively clean rip rap for  
10 the rip-rap component of the diversion. So outside  
11 of the fabric which is designed to deal with --  
12 designed to deal with the finds and outside of rip

13 rap which is selected to be as clean as practically  
14 possible, no other mitigation methods or means are  
15 proposed.  
16 Q Okay. Thank you. Again, on the presentation of  
17 the aquatics, there was reference to Stream C3,  
18 which is the stream that will receive the discharge  
19 from the PKCA. There was a statement made that  
20 this stream was not considered important to fish  
21 based on low numbers of fish found there, and,  
22 therefore, there was a conclusion that there would  
23 be no significant impacts to fish.  
24 I was just wondering if I could get an idea  
25 of what the relative importance of Stream C3 was to  
26 Lake C3 in terms of relative to other streams that

0162

1 feed the lake, is it one of several, one of few?  
2 How does it compare to the other streams that feed  
3 that lake? Generally, it is relative in absolute  
4 importance?  
5 MR. PATTENDEN: Rick Pattenden, Mainstream  
6 Aquatics. Stream C3 is one of a few number of  
7 small ephemeral systems that entered Lake C3.  
8 There are two larger stream systems, one in the  
9 main inlet to Lake C3 and one to the west.  
10 In terms of relative importance to the fish  
11 populations in Lake C3 compared to other streams  
12 entering Lake C3, it still is at the very low end  
13 of the scale, and I say that because Stream C3 is  
14 extremely small, a child can step across it, and it  
15 regularly dries up very soon after freshet. So  
16 fish do use Stream C3, but they use it  
17 opportunistically and very low numbers use the  
18 stream. So in a relative term, I still would feel  
19 it is marginal even though there aren't that many  
20 small ephemeral streams entering Lake C3.  
21 Q Thank you. Are the other streams -- you mentioned  
22 two larger streams, are they used more than  
23 opportunistically and in greater numbers than  
24 Stream C3?  
25 A I can't answer that accurately because those  
26 systems didn't receive as much sampling intensity

0163

1 as Stream C3, but based on my experience with  
2 arctic systems, they would be used more often by  
3 fish species residing in Lake C3.  
4 Q Okay. Thank you. I just wanted clarification of  
5 another comment that you had made. You made a  
6 statement that eight-metre depth appears to be the  
7 cutoff of where you find fish. In that map that  
8 you showed where you had coloured the lakes in the  
9 Jericho area, they were all coloured red, I  
10 believe, if fish were found there. Were all of  
11 those lakes at or greater than eight-metre depth?  
12 A Rick Pattenden, Mainstream Aquatics. The only  
13 lakes that approached the eight-metre depth and



14 that still contained fish were the three water  
15 bodies that are affected by the Long Lake system.  
16 All other water bodies had a maximum depth greater  
17 than 12 metres to my memory. So no other lakes,  
18 aside from the Long Lake system, were as shallow as  
19 eight-metres and still had fish.  
20 Q So is that eight-metre number, that applies to the  
21 Jericho site only? You are not saying that as a  
22 general statement for northern lakes?  
23 A For mid and high arctic lakes, I would say eight  
24 metres is about right. There is always exceptions,  
25 but if you want to pick a number, eight metres is  
26 pretty good.

0164

1 Q Okay. I guess just for clarification, we use  
2 approximately 3.7 metres as a potential for  
3 wintering habitat in northern lakes.  
4 There was a statement made about the adequacy  
5 of baseline data. The statement was, I guess, in  
6 the bulleted points said that the baseline studies  
7 were not designed -- the baseline data was  
8 collected to be able to predict project impacts,  
9 not in order to conduct monitoring. Could you  
10 explain to me what the difference is between those  
11 two, and how would the baseline data collection be  
12 different if its purpose was for monitoring, not  
13 just to predict project impacts?  
14 A Madam Chair, Rick Pattenden, Mainstream Aquatics.  
15 Several intervenors have made this comment about  
16 the inadequacy about the baseline studies data for  
17 use as monitoring.  
18 The primary requirement for baseline studies  
19 is to characterize the system to adequately allow  
20 impact prediction, that's the primary purpose.  
21 Monitoring, on the other hand, has a very different  
22 objective, the objective being the ability to  
23 detect change if one occurs.  
24 Because there is a fundamental difference in  
25 those two objective, the type amount, statistical  
26 quality of the two data sets are very different.

0165

1 You don't need very precise data to assess project  
2 impacts, you do need fairly precise data to monitor  
3 change, so that's the fundamental difference  
4 between those two data sets.  
5 Q So just to clarify, you do not see a change in the  
6 environment as being the same as a project impact?  
7 A No, that's not what I am getting at. It is the  
8 ability to predict a change if it were to occur as  
9 an assessment versus quantifying the change, they  
10 are two very different changes.  
11 MS. DAHL: Okay. Thank you. That's  
12 all my questions. Thank you.  
13 CHAIRPERSON: Okay. Health Canada?  
14 Anybody from Health Canada?

15 Bill, did you have something to say?  
16 BOARD STAFF QUESTIONS Tahera Corporation:  
17 MR. TILLEMANN: Thank you, Madam Chair.  
18 While we are waiting for Health Canada, I was  
19 contemplating the answer by Mr. Pattenden on the  
20 last question, and I think it would be helpful for  
21 the Board, certainly for me, to understand who  
22 should have the confidence in the predictions,  
23 should it be the Impact Review Board, or should it  
24 be the regulatory agencies that would have to use  
25 the data for their enforcement or monitoring?  
26 So if you could maybe give it one more try of

0166

1 explaining. I think your answer was along the  
2 lines that we did need precise data to predict  
3 project impacts, it was fairly close to that. So I  
4 guess at the end of the day for this Board, do they  
5 -- are you confident enough in the baseline  
6 information that you have that this Board can, with  
7 comfort, take data and rely on it in accepting, for  
8 example, the mitigations of impacts that would  
9 occur?  
10 MR. PATTENDEN: Madam Chair, Rick  
11 Pattenden, Mainstream Aquatics. Yes, I am very  
12 confident in the data that was collected and that  
13 it will allow us to predict whether there was an  
14 impact or not. I'm quite confident with that.  
15 I have to stress that the data was used to  
16 characterize the aquatic communities that were out  
17 there and what the -- and then the project was put  
18 on top of that, and with that information, we were  
19 able to say, well, is the fish community going to  
20 be impacted or not? The data that we collected is  
21 not good enough to monitor, so we were able to  
22 predict with confidence that if you have these fish  
23 here and you do this to the fish, the impact will  
24 be significant or not.  
25 That's not the same thing as saying if we  
26 have the fish here and we put this volume of water

0167

1 in the lake with this concentration of total  
2 suspended sediments, this will happen to the fish.  
3 That's a monitoring question, and for a monitoring  
4 question, you need quantitative data, x-number of  
5 fish with very good confidence that that's the  
6 number of fish you are dealing with.  
7 So, again, I would stress, the information  
8 used for the impact assessment is quite adequate  
9 for our purposes, but it was not designed for  
10 monitoring purposes. Tahera has committed to go  
11 out and collect data for monitoring purposes. I  
12 hope that clarifies it.  
13 CHAIRPERSON: Bill, you need to shut of  
14 your --  
15 MR. TILLEMANN: To some extent there

16 appears to be a pretty fine line, and I don't know  
17 if DFO have related questions. Among other things,  
18 there appear to be a difference between -- just  
19 over two metres in the winter habitat depth of the  
20 lake, and that may be relevant, I don't know. And  
21 perhaps DFO will explain that to the Board  
22 tomorrow.

23 Fish, like other wildlife, are quite relevant  
24 and significant to the Board, and their assessment  
25 on impacts of fish not only affect compensation,  
26 but mitigation and the Board's ultimate decision or

0168

1 a recommendation to the Minister on whether or not  
2 it is acceptable. So perhaps DFO can maybe clarify  
3 and help the Board with a statement that seems to  
4 the Staff to be a relevant point of difference, at  
5 least it does to me. Those are my -- you can  
6 certainly comment if you have any further thoughts.  
7 Thank you, Madam Chair.

8 A Madam Chair, Rick Pattenden, Mainstream Aquatics.  
9 I would go and provide examples for work that had  
10 been done for existing diamond mines, for example,  
11 Ekati, Diavik. The level and type of information  
12 collected during the baseline studies to  
13 characterize the aquatic community wasn't  
14 sufficient for monitoring purposes in my knowledge  
15 of what was collected.

16 It is the same situation as we have for  
17 Jericho. Although the data may have been collected  
18 as part of the predevelopment monitoring program,  
19 it was still not sufficient to detect change, which  
20 is a fundamental part for monitoring. So I think  
21 that's the difference of opinion between myself and  
22 DFO.

23 They feel that very detailed information  
24 needs to be collected, and they define that as the  
25 monitoring program, whereas you don't need that  
26 detailed information to predict impacts. It is

0169

1 very different. You have to be able to -- the  
2 monitoring program has to be able to tell you if  
3 your project is causing you reduction in fish  
4 numbers over time. So you have to be able to count  
5 those fish, you know, once every two years or  
6 whatever. But for an impact assessment, you just  
7 have to know what species are there, how abundant  
8 they are and what you think the project is going to  
9 do to those species. Two different types of  
10 information, one for impact assessment and one for  
11 monitoring.

12 In a perfect world, you would collect  
13 detailed information for monitoring and use it for  
14 your impact assessment, in a perfect world, but  
15 that isn't the case.

16 CHAIRPERSON: Thank you. Nobody from

17 Health Canada? Department of Indian and Northern  
18 Affairs?  
19 DIAND QUESTIONS TAHERA CORPORATION:  
20 MR. TRAYNOR: Stephen Traynor, Indian and  
21 Northern Affairs, Nunavut regional office. Thank  
22 you, Madam Chair and the Board for the opportunity  
23 to cross-examine Tahera's presentation, quite  
24 extensive one this morning, and my compliments to  
25 them for providing it in a user-friendly manner for  
26 everybody as best they can.

0170

1 By way of background, to let you know, we  
2 have held discussions with Tahera, the Board and  
3 other people were a party to them, earlier in the  
4 fall based on draft EIS discussions to clarify some  
5 issues we had.  
6 We have provided them some comments in our  
7 entire submission, and we do ask that you look at  
8 our entire submission in the response to the EIS,  
9 and we also appreciate Tahera, this morning,  
10 provided some further clarification the some of the  
11 issues we raised in their presentation, so once  
12 again, we appreciate that.  
13 However, in the end, we do have some points  
14 for discussion that we will bring forth tomorrow in  
15 our presentation. As noted by legal counsel to the  
16 Board, our focus at this time for the  
17 cross-examination will be matters of clarification  
18 just on your presentation and your submission as a  
19 whole.  
20 And I beg your patience for a little bit as  
21 we have cycled through the group of folks we have  
22 with us today, they will likely be at the mic  
23 behind me, and they will come up and ask questions.  
24 So with that, Madam Chair, I will first of all ask  
25 the people to come up and state their name, but  
26 also their response bullets, so we will start off

0171

1 with Carl McLean.  
2 MR. McLean: Thank you, Madam Chair.  
3 Just a clarification question. I am the manager of  
4 land administration, Carl McLean with INAC in  
5 Iqaluit.  
6 Cam Scott in his mine waste management  
7 presentation mentioned that they are going to put a  
8 liner under their recovery reject stockpile site,  
9 and just for clarification, would like to know what  
10 the purpose of that liner is.  
11 MS. SEXSMITH: Hello, this is Kelly  
12 Sexsmith. The recovery plant tailings were a  
13 relatively small volume of material that would be  
14 produced during mining, and during the  
15 characterization programs, that material was not  
16 tested and there were no longer any samples  
17 available when this was realized last spring. So

18 as a precaution, in the unlikely event that that  
19 material would contain any minerals that could lead  
20 to deleterious water quality, we had planned to put  
21 a liner under that material to ensure that any  
22 water could be collected and dealt with  
23 appropriately.  
24 MR. McLEAN: Thank you.  
25 MR. TRAYNOR: Next I would ask Holger  
26 Hartmaier to come up and identify himself and ask

0172

1 questions.  
2 MR. HARTMAIER: Thank you, Madam Chair. I  
3 am Holger Hartmaier, senior technical engineer with  
4 BGC Engineering. I just had a few questions on  
5 the, sort of, geotechnical permafrost issues. The  
6 questions I have are, sort of, outstanding  
7 clarifications that were raised partly in review of  
8 the supplemental information that was provided and  
9 the information presented today.  
10 I realize that there is a lot of detailed  
11 engineering still to be done, but basically what I  
12 am asking for is clarification on some of these  
13 issues now so that we get, maybe, a level of  
14 comfort that some of these things are going to be  
15 addressed. And also the Nunavut Water Board is  
16 present and taking notes, and some of these issues  
17 will likely have to be dealt with later in the,  
18 sort of, water licensing stage. So basically I  
19 have a few questions here.  
20 First one was regarding that spray irrigation  
21 area, recognizing the location of it, is there any  
22 potential for soil slides to be initiated due to  
23 the oversaturation of the active zone as a result  
24 of the spraying? I noted that in the supplemental  
25 information that was provided, some of the test  
26 pits that were done in that reported squeezing sand

0173

1 conditions, so if you could comment on that?  
2 MR. MISSAL: Madam Chair, I would like  
3 to ask Andre Sobolewski to respond to that.  
4 MR. SOBOLEWSKI: Andre Sobolewski. I  
5 suppose the first part of the answer is to say that  
6 spray irrigation is a contingency, in fact. It is  
7 not at all clear at this point whether it will be  
8 necessary or not. However, the site that was  
9 chosen for spray irrigation is very gently sloping,  
10 and from the test pits, the active layer is quite  
11 deep. And to my understanding, there is no  
12 expectation, in fact, that that should occur.  
13 However, before any such dramatic  
14 development, if you like, develops, there should be  
15 warning signs that there is deterioration of the  
16 active layer that would proceed any such sloughing  
17 of soil. And it is precisely the purpose of the  
18 monitoring program to, for one, if such

19 developments to occur and to mitigate any such  
20 impact.  
21 Q The next question I had, I think this was partially  
22 answered before by Cam Scott, but sort of as a  
23 general question with regard to the diversion  
24 ditches, specifically the C1 diversion ditch and  
25 other diversion ditches, how have you accounted for  
26 or what mitigation is being considered for any

0174

1 long-term degradation of permafrost around the  
2 ditch and, sort of, long-term sedimentation?  
3 That's over and above the sedimentation you are  
4 going to get after the first construction season,  
5 but, you know, long-term permafrost degradation  
6 related to sedimentation?  
7 MR. SCOTT: Cam Scott. Holger, I think  
8 the first point is that, yeah, there is a  
9 possibility of ice lenses and some degradation. We  
10 think that that degradation would occur, if it does  
11 occur, at below the base of the C1 diversion,  
12 primarily because the preliminary sizing and  
13 preliminary engineering suggests that the cut will  
14 be exclusively within the active layer within the  
15 soil zone. So that we anticipate that. As I say,  
16 it wouldn't be from the sides, it would be more  
17 from the base.  
18 That is a possibility, and what we anticipate  
19 in terms of mitigation is regular inspections and  
20 the possibility of periodically modifying or  
21 remediating, repairing, if you will, zones of  
22 settlement so that if you hit the ditch with  
23 incremental placement of rock, presumably, clean  
24 waste rock and rip rap, so that the general grade  
25 and configuration of the diversion ditch is  
26 maintained.

0175

1 Q Thanks. The other question may be a bit out of my  
2 league, but it is a question regarding the pit, and  
3 it had to do with this diffuser that was, as I  
4 understand it, is a contingency, but I also  
5 understand that it is going to take about several  
6 decades for the pit to fill with water, so it would  
7 be some time before that diffuser actually gets  
8 used, so what would be the plan? Is that something  
9 that's going to be built and sort of maintained for  
10 20 years until it becomes used or just some  
11 clarification on whether that is going to be  
12 something that gets built down the road or  
13 something will be built now?  
14 A Cam Scott again. I think your point is right. The  
15 way the water management at closure has been  
16 configured is the assumption that all the water  
17 would report to the open pit from the waste dumps  
18 and so on, and it would take approximately 17 to 20  
19 years to fill the open pit. Having said that, that

20 gives us a chance to monitor water quality, and so  
21 there would be no need, in our opinion, to  
22 construct the diffuser until the pit is approaching  
23 its limit and the water quality suggests that a  
24 diffuser is appropriate.  
25 Q Okay. Thanks. Okay. I guess the other main  
26 question I had was with regard to the open-pit

0176

1 design. I guess the initial presentation showed  
2 the pit outline and the mining method. I just had  
3 a couple concerns about pit wall stability, several  
4 areas which I would like some clarification on, one  
5 is the pit slope adjacent to Carat Lake. I think  
6 there is maybe about a 250-metre buffer distance  
7 between the edge of the lake and the edge of the  
8 pit. And there is, I think, 10 to 15 metres of  
9 overburden cover on top of bedrock between the pit  
10 and the lake. I'm just wondering what sort of  
11 contingencies there are with regard to the  
12 stability of the pit wall bearing in mind that the  
13 permafrost temperature I think is fairly warm, it  
14 is maybe less than 5 degrees Celsius.

15 I think one of the thermistors shows fairly  
16 warm permafrost in the pit area, so there is a  
17 potential for zones of groundwater coming through  
18 that buffer zone from the pit wall. So there is a  
19 stability issue there. I'm just wondering what  
20 considerations there has been given with regard to  
21 the actual outline of the pit and the geometry of  
22 the pit wall?

23 A Cam Scott. I think at this point the geometry of  
24 the pit wall has really been governed by the  
25 assumption that given the existence of permafrost,  
26 that there would be no undue movement of water to

0177

1 the open pit, so it has been exclusively on the  
2 context of the properties of the permafrost in the  
3 soil and likewise of the rock. Obviously, that is  
4 something that would have to be monitored early on.

5 Specifically to your question as regards --  
6 or comments as regards the warm permafrost, I  
7 haven't looked at that data presently, but it is my  
8 understanding that in general, most of those  
9 thermistors are indicating minus 4, minus 5 degree  
10 Celsius is essentially what I recall.

11 Q That's true, yes.

12 A Yes.

13 Q Okay. The other question regarding the pit wall  
14 stability is on the east side of your pit you have  
15 got two waste dumps which are located close to the  
16 pit perimeter. What would be a contingency if, for  
17 some reason, you had to push back your pit wall  
18 limits to improve stability and you now have waste  
19 dumps there? Is there any possibility of having to  
20 shift things around in terms of the overall

21 footprint of the waste dumps?  
22 A Cam Scott. Essentially the foundations under both  
23 the overburdened stockpile and waste dump number 1  
24 are situated in rock, so that thickness of soil, at  
25 least as far as that aspect of stability is pretty  
26 much confined to the pit area and I think not too

0178

1 much further to those. But your point is well  
2 taken to the extent that you do have a nominal  
3 buffer, and I think that's one of the elements that  
4 will be looked at as part of final design.  
5 Q Fine. Okay. The final question I had was  
6 regarding the monitoring program that Bruce Ott  
7 mentioned regarding the geotechnical monitoring. I  
8 noted there was no pit slope stability monitoring  
9 included in that geotechnical program. I am just  
10 wondering if there is going to be any -- what kind  
11 of monitoring you are planning to do there?  
12 A Cam Scott. Point taken. And I think for  
13 operational perspectives, there will be monitoring  
14 undertaken on pit slopes. I think for purposes of  
15 the discussion today, it was assumed it wasn't  
16 really an environmental impact and, therefore, not  
17 fundamentally germane to these discussions today.  
18 Q Just a clarification that it would be included, I  
19 guess, eventually?  
20 A Cam Scott. Yes, it will be included. There will  
21 be a pit slope monitoring program.  
22 MR. HARTMAIER: Okay. That concludes my  
23 questions, Madam Chairman.  
24 MR. TRAYNOR: Thank you. Next I will  
25 call upon Eric Denholm.  
26 MR. DENHOLM: Yeah, it is Eric Denholm

0179

1 with Gartner Lee, Madam Chair. I have one  
2 question regarding possibility of phosphate  
3 addition into the processed kimberlite containment  
4 areas and mitigation against elevated ammonia or  
5 metals, and the clarification is, is this being  
6 considered as a potential mitigation measure  
7 alongside with land -- spray irrigation on land,  
8 treatment facility and cessation of discharge? And  
9 if so, has Tahera developed any conceptual plans as  
10 to how that might be undertaken?  
11 MS. SEXSMITH: Hi, this is Kelly Sexsmith.  
12 I think it is supporting document J of the  
13 supplemental material discusses that plan. It is a  
14 contingency on a contingency that is already in  
15 place, which is the land application system, and we  
16 would only be considering the addition of  
17 phosphorus if the land application is found during  
18 the testing period not to be successful, and we  
19 would also be monitoring phosphorus that would be  
20 in the system anyway from the sewage and seeing if  
21 it would be sufficient to lead to those removal



22 levels that we expect might occur without any  
23 assistance at all.  
24 MR. DENHOLM: Okay. Thank you.  
25 MR. TRAYNOR: Thank you. Next I will  
26 call upon Dave Osmond.

0180

1 MR. OSMOND: It is Dave Osmond here with  
2 Gartner Lee, principal biologist with Gartner Lee  
3 representing INAC.  
4 Madam Chair, I have a few points of  
5 clarification that I require, and they all relate  
6 to aquatics and water quality. And the first one  
7 relates to total dissolved solids, and I think this  
8 relates to the source discussion that Kelly  
9 Sexsmith gave, and I just noted that there was no  
10 discussion of total dissolved solids in your  
11 presentation, although the TDS levels that are  
12 found in the tables and so on are up over a  
13 thousand milligrams per litre, and there wasn't  
14 much discussion of it both from the PKCA and also  
15 after closure from the pit.  
16 I just wanted to know what the source of the  
17 high TDS levels are, and also if you could just  
18 pick out the two major components that make up the  
19 TDS and what their rough concentrations are. I'm  
20 not looking for accuracy, Greg, so just a general  
21 idea.  
22 MS. SEXSMITH: Yes, this is Kelly  
23 Sexsmith. Those concentrations are all in  
24 supporting document I of the supplemental material,  
25 and I didn't present them because total dissolved  
26 solid concentrations are not part of the CCME

0181

1 guidelines, so that's why I didn't show them, but  
2 they are all in the documentation.  
3 The major components of that total dissolved  
4 solids will be alkalinity bicarbonate and calcium  
5 and magnesium.  
6 Q So chlorides -- so if I can just ask on top of  
7 that, I noticed that Andre mentioned his concern  
8 about chlorides and that he did write them off as a  
9 nonissue. Chlorides weren't -- didn't make a major  
10 component of that, of the TDS levels?  
11 A Yeah, in the test where chloride was a relatively  
12 significant portion of the total dissolved solids  
13 but not the dominant three or so anions, the  
14 chloride maybe an artifact of the way that samples  
15 are collected in northern field settings, and that  
16 is that they use calcium chloride in the drilling  
17 programs, and that contaminates all the samples  
18 that you collect from the site. So I expect that  
19 chloride samples -- chloride levels will actually  
20 be lower than any of our predictive work is showing  
21 because of that potential artifact. But because  
22 that is in the rock, it is not possible to see if

23 there is any natural background chloride in the  
24 samples.  
25 Q Thanks for that clarification, that is very  
26 helpful. I have a question that relates to the

0182

1 control of discharges, and I noticed, Pete, in your  
2 discussion a point about the discharge from each of  
3 the three ponds A, B and C. I thought you said  
4 they would be pumped, or will this be a controlled  
5 discharge, or will there be all continuous  
6 discharge from each of these three ponds? I would  
7 just like some clarification on that.  
8 MR. MCCREATH: Pete McCreath, Clearwater  
9 consultants. Dave, the ponds will be designed, the  
10 concept behind the design is that there is going to  
11 be a combination of the storage and the pumping.  
12 Because so much of the runoff each year comes in a  
13 relatively short period and the snow-melt period,  
14 it is not practical design. Peak flow pumping  
15 capacity. So the pumping will be going on for some  
16 period of time, transferring the water from the  
17 individual ponds back to the PKCA.  
18 I would expect that the design would include  
19 suitable pump-on, pump-off limits such that during  
20 the summer period, for example, if there is no  
21 rainfall, obviously pumping would stop. If you get  
22 some runoff, you would accumulate a bit of water  
23 before the pumps would come on again. So in  
24 summary, there would probably be fairly constant  
25 pumping in the spring snow melt period until that  
26 volume of water is reviewed, and then after that it

0183

1 would be on an as-required basis.  
2 Q So they would be totally contained then, and you  
3 would have direct control. If you had problems in  
4 any one of those ponds, there wouldn't be a  
5 consistent continuous flow going over the berm or  
6 in any other way, it is something you would control  
7 by pumping?  
8 A Yes, the control would be pumping, yes.  
9 Q Thank you. Bruce, in your presentation, you  
10 mentioned that the dilution models had been rerun  
11 to reflect the higher annual discharge volume that  
12 increased from 380,000 to a million cubic metres  
13 per year, and I don't remember seeing that in any  
14 supplemental information that I got, but it could  
15 well have been there and I missed it.  
16 And you indicated also that the model results  
17 were almost the same as those run in the September  
18 2003 modelling contained in the supplementary  
19 information package that I reviewed. With regard  
20 to the scenario that's in maximum source  
21 concentration, low inflow or low streamflow year or  
22 rainfall year, the original results showed chronic  
23 toxicity to Carat Lake intake for ammonia, but

24 under the increased discharge regime, you stated  
25 that the concentrations would only be chronic to  
26 Lake C3.

0184

1 Could you just give me clarification on this,  
2 and could you provide to us at some point the  
3 updated results of modelling for the one million  
4 cubic metres for year that, I'm sorry, I didn't  
5 see. I should get it from you if you have already  
6 got it or been provided to us.  
7 MR. OTT: Thanks, Dave. Bruce Ott,  
8 AMEC. No, you don't have those results, they are  
9 last-minute things that were run just before and  
10 over Christmas, and we will certainly make them  
11 available to you. The general conclusions are that  
12 the dilutions are approximately the same as the  
13 information that was provided in the initial -- in  
14 my initial supplemental assessment. Chronic -- I  
15 will have to go back and look at the information we  
16 provided.

17 I would be surprised if the conclusion was  
18 that there would be chronic toxicity for ammonia at  
19 the Carat Lake intake given that total ammonia from  
20 the -- at the discharge point is predicted to be  
21 around 2.1 milligrams per litre, which if you  
22 translate that to unionized ammonia at pH 6 and a  
23 half and 10 degrees Celsius, it is within the limit  
24 that is set by CCME for protection of aquatic life,  
25 so I'm going to have to go back and take a look at  
26 that.

0185

1 As I say, I would be surprised if their  
2 prediction was for chronic toxicity all the way  
3 over at Carat Lake where we would expect a dilution  
4 of about 120 to 1.

5 Q I agree. I was surprised too, but indeed, your  
6 tables in the back showed that, and I have got them  
7 handy here, and maybe we can go over that  
8 afterwards?

9 A Certainly we can do that, and that appears to be in  
10 error.

11 Q Okay.

12 MR. McCREATH: Sorry. If I can just ask  
13 some points of clarification on this additional  
14 dilution modelling, that couple things there, some  
15 points of clarification modelling that was carried  
16 out. The million cubic metres release volume that  
17 you haven't seen in the new modelling, that relates  
18 to -- it is a combination of conservative  
19 assumptions given that we are planning on storing  
20 everything for the first two years, and then we are  
21 saying let's assume that we can get rid of that  
22 excess water that's been stored in the system over  
23 the next three years, and the requires a release of  
24 about a million cubic metres per year.

25           The dilution modeling then assumed also that  
26           for one of those three years, and probably year

0186

1           three, just one of the years, that the flow in the  
2           receiving waters would correspond to a ten-year dry  
3           year event in the inflows to Lake C3 and to Carat  
4           Lake. So it is a combination of things that is  
5           just aimed really just at that one year.

6       Q   That's great. Thanks. Again, Pete, in your  
7           presentation you regarded the discharge from the  
8           PKCA as the end-of-pipe discharge point, in your  
9           presentation today you indicated that. Could you  
10          tell me if you have assigned a mixing zone and what  
11          its boundaries are? Is there such a thing as a  
12          mixing zone here and where are the boundaries?

13       A   In fact, I guess what I am really calling the end  
14          of pipe is the settling pond release rather than  
15          the PKCA, I apologize for that confusion. From  
16          that point within the stream itself, no, there  
17          wouldn't be any mixing zone. As mentioned, it is a  
18          very small stream, by Rick, and so the flow is  
19          being released from the settling pond, would  
20          constitute the entire flow in the stream for all  
21          intents and purposes.

22               There is a small incremental catchment area  
23          of about half a square kilometre before the lake  
24          itself is reached, and then within the lake there  
25          would be a mixing zone. And I believe the dilution  
26          modelling, I don't know off the top of my head what

0187

1           those numbers are, but there is mixing that goes on  
2           within the lake itself after C3.

3       Q   Okay. Now, I just want to get this straight then.  
4           The end of pipe is the clarification pond or  
5           sedimentation pond, the creek is a conduit, and  
6           then there is a mixing zone in the lake, I think it  
7           was 100 metres, and that's why I am confused. In  
8           the supplemental information, there was a 100 metre  
9           -- it was creek plus 100 metres as one of the  
10          points at which concentrations were calculated, and  
11          with that, I'm assuming that is a mixing zone, and  
12          if so, all I'm trying to do is get clarification on  
13          that point, so --

14       MR. OTT:               Bruce Ott, AMEC. In actual  
15          fact, that's the way the model that Princeton  
16          oceanographic model was set up, it is a multilayer  
17          model as you are probably aware. It divided the  
18          lake into 27 vertical zones, which I suppose is  
19          overkill, but that's the way the model works. The  
20          cells were 40 metre squares, and we were just  
21          looking at the results and saying that within 100  
22          metres we would meet CCME or we wouldn't meet CCME  
23          depending on the situation.

24               100 metres is arbitrarily chosen on our part,  
25          so dilution sometimes will occur -- adequate

26 dilution may occur before that, or under the most

0188

1 severe conditions that we were predicting that  
2 there would not be adequate dilution to meet CCME  
3 within 100 metres so you could end up with some  
4 chronic toxicity. So the 100 metres is really just  
5 numbers that is based on the model result.

6 I would think that, and correct me if I am  
7 wrong, that the actual dilution zone that will end  
8 up being allowed will be determined on a  
9 site-specific basis and will be up to Environment  
10 Canada principally, I should think.

11 Q I expected that you would have worked that out with  
12 them and got it clarified, and I don't think they  
13 are here today, but I think they will be here at  
14 later times. I shouldn't speak for them, but maybe  
15 they can shed some light on this then.

16 Rick, in your residual impact assessment you  
17 assumed that a diffuser would be used, and to deal  
18 with pit discharges -- pit discharges postclosure.  
19 I'm a little bit confused by that assumption since  
20 Dr. Ott indicated that a discharge will be  
21 exfiltrated from Pond A today, and I assumed that  
22 -- I guess that's by overland flow to Carat Lake  
23 shoreline.

24 I just wanted to get clarification here if  
25 you could explain why you made this assumption, and  
26 if you hadn't made that assumption, would your

0189

1 conclusions of no impact still stand considering  
2 that the only known lake trout spawning area in  
3 Carat Lake is close to that particular area?

4 MR. PATTENDEN: Rick Pattenden. My  
5 assumption was that the use of the exfiltrate  
6 option from Pond A would only be accepted if the  
7 exfiltrate from Pond A met CCME guidelines, so the  
8 use of the diffuser is the worst-case scenario. If  
9 exfiltrate was not an option because it did not  
10 make CCME guidelines, then a diffuser would not be  
11 needed, and that was the premise for undertaking  
12 that effects assessment.

13 Q And what if there isn't a CCME guideline for such a  
14 parameter as total dissolved solids that perhaps  
15 could have some chronic effect in a very sensitive  
16 area, and in that obviously would have to be looked  
17 at?

18 A You are correct in stating there is no CCME  
19 guideline, but there are values that are being  
20 examined right now for other diamond mines, and we  
21 would likely, or Tahera would likely use those  
22 criteria when they make their decision.

23 Q That's good. Okay. I would like it on the record,  
24 that's all.

25 A Sorry, Madam Chair, if I could also add there would  
26 also be monitoring also to assess whether it is a

0190

1 problem or not.  
2 Q I accept that. I'm an aquatic biologist and I  
3 shouldn't be asking this question, but, Ben, I  
4 couldn't help asking this question, it has been  
5 bothering me a lot about the spray irrigation area.  
6 It is water-related, so I just wanted to know  
7 whether you looked at the wildlife use and  
8 potential wildlife impacts of using the area  
9 targeted for spray irrigation if further source  
10 testing proves such mitigation option is required?  
11 MR. HUBERT: Ben Hubert, Hubert &  
12 Associates. I did not look specifically at those  
13 areas that were slated for spray irrigation, but  
14 they are typical of similar habitat types elsewhere  
15 around Carat Lake, so they are not unique habitats,  
16 and I would expect that the effects there would be  
17 similar to effects anywhere else in that habitat  
18 type, in the project area.  
19 Q So you, if I can put words in your mouth, don't  
20 regard that as an issue from a wildlife  
21 perspective?  
22 A If it is an issue, I think it is an issue of  
23 enhancement rather than impact.  
24 MR. OSMOND: That's good advice, thank  
25 you. Madam Chairman, that's the end of my  
26 questions.

0191

1 CHAIRPERSON: Thank you, before you go  
2 on, can we take a five-minute break? Be back in  
3 five minutes.  
4 (RECESSED AT 4:06 P.M.)  
5 (RECONVENED AT 4:14 P.M.)  
6 CHAIRPERSON: We are going over our  
7 five-minute limit again. DIAND, you can continue  
8 with your questions.  
9 MR. TRAYNOR: Thank you, Madam Chair. I  
10 will ask Paul Partridge to come up to the  
11 microphone to ask a few questions in the area of  
12 socioec.  
13 MR. PARTRIDGE: Madam Chair, Board, my name  
14 is Paul Partridge, and I am with DIAND's economic  
15 development division. I just have a few questions  
16 here for Tahera. The first one is a point of  
17 clarification, and it revolves around the last  
18 portion of the presentation, so I don't know if  
19 Bruce is probably the best person to address it.  
20 When you referred to the monitoring program  
21 for socioeconomic impacts, were you referring to  
22 the community advisory committee and the ten  
23 indicators in the supplementary documents?  
24 MR. MISSAL: Madam Chair, we couldn't  
25 quite hear that, Paul.  
26 MR. PARTRIDGE: Sorry, I apologize. When

0192

1 you are referring to the monitoring program for  
2 socioeconomic impacts, were you referring to the  
3 community advisory committee and the ten indicators  
4 identified in the supplementary documents, or was  
5 there something else?

6 MR. HORNAL: Yes, that was the committee.  
7 Sorry, Robert Hornal.

8 Q During the presentation for the socioeconomic  
9 assessment, you mentioned that 43 percent of  
10 operating costs would be spent in the north,  
11 including 65 percent of the salary dollars. I'm  
12 interested in how the 65 percent was identified or  
13 derived.

14 A I think it is in the socioeconomic report, but  
15 essentially it is based on, as I say, taking the  
16 Diavik model and applying those percentages to the  
17 figures provided by Tahera for their operations and  
18 construction.

19 Q With the use of Diavik model in that portion of the  
20 assessment, I believe that you have integrated both  
21 the NWT and Nunavut; is that correct?

22 A Robert Hornal again. Yes, it is.

23 Q Did you adjust the multiplier at all to take into  
24 account the potential difference for the rate of  
25 leakage in Nunavut as opposed to the NWT?

26 A Robert Hornal again, no, I didn't.

0193

1 Q All right. I guess the last question, in addition  
2 to the monitoring, what mitigation would be  
3 employed to address potential adverse impacts?

4 MR. MISSAL: Madam Chair, Greg Missal  
5 with Tahera. I think if we understood that  
6 correctly, Paul, it was what mitigations would we  
7 use to cover off any impacts; is that correct?

8 MR. PARTRIDGE: Correct.

9 MR. MISSAL: Well, I think in addition  
10 to what Robert mentioned, obviously there is going  
11 to be a need for Tahera to continue with ongoing  
12 community consultation meetings. I think it is  
13 always a useful forum to get feedback through  
14 community consultation meetings, and, of course,  
15 once the IIBA is up and running, that is going to  
16 be a very good mechanism for community input to be  
17 fed back in through the KIA and into the  
18 implementation committee, and so that information  
19 can then come back to Tahera via that route as  
20 well.

21 So I think there is a few different ways that  
22 we can try and get as much feedback as possible.

23 MR. PARTRIDGE: Okay. Thank you very much  
24 for your time, Madam Chair.

25 CHAIRPERSON: Steve, before DIAND  
26 continues, Bill Tilleman had some comments.

0194

1 MR. TILLEMAN: Thank you, Madam Chair, and  
2 it was basically to make sure that the Board  
3 understood the discussion that happened with Dave  
4 just before the break, and that we have all of the  
5 information that we need, that this Board needs to  
6 make its recommendation to the Minister.  
7 So with that in mind, what I would suggest  
8 and ask of the proponent would be this, that they  
9 get together with DIAND or whatever other witness  
10 tonight and then provide to the Board the  
11 information that was the subject of the  
12 cross-examination just before the break and that  
13 just happened right now. So before the break then  
14 for Dr. Ott, it would include any data that was  
15 lacking in the chronic toxicity testing for, I  
16 think, it was ammonia, but you can clarify that  
17 with Dave. Was it ammonia? So anything that we  
18 don't have yet that we need to have, if you could  
19 provide that by tomorrow morning.  
20 Also, I think the essence of his question was  
21 whether or not at the end of the day we would end  
22 up with chronic toxicity in any of those relevant  
23 areas, so if you can give us that answer tomorrow.  
24 You can do it right now if you wish, but I think  
25 there was a question hanging on whether or not  
26 chronic toxicity would exist.

0195

1 MR. OTT: Yes.  
2 MR. TILLEMAN: The third one was also with  
3 Dave's questions, I thought I heard Rick -- in  
4 fact, I did hear Rick suggest that Tahera would  
5 meet the TDS standard for other diamond mines in  
6 Canada, so I would suggest the most recent example  
7 would be Snap Lake that was submitted to the  
8 Minister and accepted. That being the case, and I  
9 don't know what the recommendations are, but I know  
10 there are people in the room who know that quickly,  
11 and so my question then of the company would be is  
12 Tahera prepared to meet the TDS standard which was  
13 recommended in that decision and accepted by  
14 Minister Nault? Again, consider this overnight or  
15 however much time you need to take.  
16 And related to that was whether Tahera will  
17 meet monitoring standards for other mines in  
18 Canada? Again, let's just pick Snap Lake since,  
19 first of all, it is relatively close, and second it  
20 is quite new. So TDS and monitoring commitments.  
21 And then we -- finally we just heard  
22 questions raised by Mr. Partridge about the  
23 socioeconomic, the nature of the monitoring  
24 committee set up to gather socioeconomic data. The  
25 Board would have several questions about who sits  
26 on the committee, what information is gathered, who

0196

1 will receive the information and how often it will



2 be released? And perhaps overnight if KIA and  
3 Tahera can discuss what parts of that committees  
4 information or setup might be able to be released  
5 to the Board, that would be helpful as well.  
6 So some of these things, Madam Chair, might  
7 take over the evening, and to the extent that they  
8 do, then tomorrow morning we would need to allow  
9 questions on this new information that Tahera would  
10 present tomorrow morning, and those are my notes,  
11 thank you.  
12 CHAIRPERSON: Thank you. Mr. Traynor,  
13 you may continue.  
14 MR. TRAYNOR: Thank you, Madam Chair. I  
15 have just got a few last questions from myself to  
16 Tahera. I guess the first one is a fairly basic  
17 one, and we were just wondering with all the  
18 discussions of spray irrigation and proposed spray  
19 irrigation, whether Tahera was considering applying  
20 for land tenure for that area in anticipation of  
21 the use of spray irrigation and size of the area  
22 that you would need?  
23 MR. MISSAL: Madam Chair, it is Greg  
24 Missal with Tahera Corporation. We certainly would  
25 amend the closest land lease application if we  
26 wanted to incorporate spray irrigation. I believe

0197

1 Carl McLean and I spoke briefly about that in the  
2 past, and I think that would be the most  
3 appropriate route to handle that, would be an  
4 amendment to one particular lease area that may be  
5 the closest to that area.  
6 Q Thank you. One of the things we have often becomes  
7 difficult, you did a lengthy presentation, and I'm  
8 sure you can't put all the slides up and there is  
9 things you miss or others, one thing I would like  
10 to get a sense of you, and it is a few questions  
11 related to it, but you talked a little bit about  
12 environmental monitoring commitments.  
13 One thing I didn't notice in the slides, and  
14 I'm sure perhaps you have it and it just wasn't  
15 displayed, but can you give us a sense of the suite  
16 of environmental or just management plans that you  
17 foresee to be used in managing the mine as a whole?  
18 A Madam Chair, Greg Missal with Tahera. If I  
19 understand the question correctly, Stephen, just  
20 what the overall plan is for managing the mine  
21 site; is that correct?  
22 Q Essentially a sense of the suite of management  
23 plans that you will use.  
24 A Right.  
25 Q That looks after the complete management of the  
26 mine, you know, what the various components may be,

0198

1 and is there an overlying umbrella type of plan.  
2 A Right.

3 MR. OTT: Bruce Ott with AMEC.  
4 Steve, I take it you want information supplemental  
5 to what was provided in the final EIS?  
6 Q I guess in the presentation and in the supplemental  
7 there didn't seem to be a management structure, if  
8 you will, or an overall sense of what the suite of  
9 management plans would be. For example, for Ekati  
10 or Diavik, they have the spills management plan,  
11 you end up having a hazardous waste plan, there is  
12 a whole suite of them, as, I guess in your sense  
13 you have given things you are going to monitor.  
14 The plans allow for not only what will be monitored  
15 but what will be contingencies and what will be the  
16 triggers that will engage you in that contingency.  
17 Because we have heard this morning a lot about,  
18 well, if this happens, we will go to spray  
19 irrigation, if this happens, we will do this. What  
20 is the management plans so that people are aware of  
21 when you will trigger these contingencies and what  
22 are they?  
23 A All right. There is an overall -- there will be an  
24 overall environmental management plan developed.  
25 There was a very conceptual one put together for  
26 the final EIS. From the final EIS, one can

0199

1 determine that we have put together a conceptual  
2 hazardous materials management plan, a spill  
3 contingency plan, an emergency response plan.  
4 There is an occupational health and safety plan,  
5 and DIAND has indicated that in addition to that,  
6 they will require a -- oh, there is a reclamation  
7 plan, sorry, and DIAND has indicated in their  
8 supplemental that they would require a granular  
9 materials management plan, that is for development  
10 of the eskers, and that would also be -- that would  
11 also be put together.  
12 The overall management plan will -- would  
13 knit all these various plans together. They all  
14 are components of an overall management plan. The  
15 idea, conceptually at any rate, is to make these  
16 plans conform to the ISO standard, which is  
17 something that a lot of companies are doing these  
18 days, and that provides you with a very sound  
19 management structure and provision for continual  
20 improvement in provision for internal and external  
21 auditing, et cetera, et cetera.  
22 In terms of specific triggers, I think we --  
23 the first trigger, of course, is if there is any  
24 indication of a negative impact or degradation of  
25 the environment, the principal tools there would  
26 end up being the aquatic effects monitoring program

0200

1 for aquatics and the indirect monitoring that would  
2 be done for, say, metals contamination or effects  
3 of dust. There are CCME guidelines for metals in

4 plants, and one could use those, or CCME guidelines  
5 for air quality. There is CCME guidelines for  
6 water quality.

7 Those would be the things that if we see  
8 degradation below those levels where we see a trend  
9 that can be identified as being caused by the mine  
10 or it reasonably can be assumed to be caused by  
11 mining activity, that calls for a modification of  
12 the management plans. I don't know if that answers  
13 your question or not. That's conceptual at this  
14 point. This whole thing needs to be knit together  
15 in a formal written plan.

16 Some of the things, plans haven't been taken  
17 beyond a concept due to the fact that they need an  
18 integral discussion with the principal contractors  
19 at the site, specifically the mining contractor  
20 with respect to a number of these items.

21 Q Thank you, yeah, we just wanted to get a sense that  
22 there will be a suite of management plans that you  
23 are contemplating, and that did answer to a  
24 reasonable extent, and two additional questions  
25 came to mind that you touched upon. One, I guess,  
26 is I can't recall whether I noticed in Ben's

0201

1 presentation whether there is a wildlife management  
2 plan.

3 MR. HUBERT: Madam Chair, Ben Hubert.  
4 The EIS made several specific points of elements  
5 that should be included in a **wildlife management**  
6 **plan**, so to the -- that extent, it is in place

7 conceptually. Formally and systemically, no.

8 Q Okay. Bruce, you did make reference to SO 14000,  
9 so since you cracked open that door, I will ask you  
10 whether the company will be seeking ISO 14001  
11 compliancy?

12 MR. OTT: I don't know if I am the  
13 person to answer that. As a consultant, I say  
14 yeah, let's go for it. But in actual fact, I guess  
15 that's a decision the company has to make.

16 I understand that some other mining companies  
17 are looking at ISO certification. I think if you  
18 read the literature, ISO certification seems to be  
19 the lowest common denominator, so whether that's  
20 actually going to be a procedure that's followed or  
21 not, I don't know. A lot of the good things about  
22 ISO that require formalization, that require  
23 reporting, that require tracking, et cetera, are  
24 things that obviously need to be in place for any  
25 management system that you have in place. Whether  
26 ISO certification or not will be sought, I guess it

0202

1 is something -- a decision that will be made at a  
2 later date. Certainly Greg could confirm or refute  
3 that.

4 CHAIRPERSON: Please slow down a bit, the

5 interpreters/translators are not keeping up. Thank  
6 you.  
7 MR. MISSAL: Madam Chair, I will just  
8 add to Bruce Ott's comments there. I think, Steve,  
9 we are starting to see in the mining industry that  
10 there are some of the these larger scale what you  
11 might call word class mining companies that are  
12 getting into ISO 14001. It is probably something  
13 that's a little bit beyond Tahera, but I agree with  
14 Bruce, that the concept, I think, gives you some  
15 really good parameters to follow, and it is  
16 something that we would probably look at, but we  
17 certainly wouldn't commit here today to following  
18 those standards.  
19 Q I can certainly appreciate that. There is a large  
20 financial commitment to that, but it is nice to at  
21 least hear that you are aware of what's going on in  
22 the mining industry and recognizing that there does  
23 seem to be some common denominators out there. You  
24 may not necessarily have it, but if you are aware  
25 of it and try to meet in principle some of the  
26 standards, that would be appreciated, and we can

0203

1 certainly live, you know, with a discussion at a  
2 later date whether it is appropriate for you or  
3 not, although we do appreciate the commitment to  
4 understanding it and moving forward to some degree.  
5 I will switch gears here a little bit, and I  
6 will ask a comment on the reclamation stuff of  
7 Court in particular. There was in the presentation  
8 some discussion of the use of overburden, and I  
9 won't go into too much detail, but just if you can  
10 clarify this, what your expectations were for the  
11 depth of that overburden that you used to estimate  
12 your numbers, was it a metre and a half, two  
13 metres?  
14 CHAIRPERSON: Before he answers, Josie, I  
15 want to make sure one of our Board members catches  
16 up and understands what is going on, so please slow  
17 down a little bit. Thank you.  
18 MR. SMITH: Thank you, Madam  
19 Chairperson. We used the number .3 metres of cover  
20 to be placed over the places where we were going to  
21 be placing overburden. It would come from a  
22 overburden stockpile which would be created during  
23 the construction phase.  
24 In a lot of the areas where we have worked in  
25 -- I'm not saying they are similar areas, but  
26 getting that overburden is quite a difficult

0204

1 matter, it isn't usually very thick, and there is  
2 usually a lot of rock outcroppings and things like  
3 that. Now, at Jericho, there might be places in  
4 the construction area where it is easier to obtain  
5 the overburden, but we are not expecting that the

6 pile will be huge by any means, and we will  
7 distribute the overburden as best we can. In the  
8 calculations we used .3 metres, which is roughly a  
9 foot.  
10 Q I guess in rebuttal to that, if I can just note  
11 that in the Water Board discussions with regard to  
12 Echo Bay Mines, the value that Nuna used, as I  
13 recall, we had extensive arguments, was down to one  
14 metre, and we have heard today in some of the  
15 discussions the active layer is at least one metre  
16 or more. So if you can somehow give us some  
17 rationale as to why .3 was considered if the  
18 criteria is to ensure permafrost comes up and  
19 adequately manages it, why was .3 considered to be  
20 adequate?  
21 A In the Lupin work, the intent was to cover the  
22 tailings and to keep the tailings material below  
23 freezing, in other words, to insulate and protect  
24 the tailings such that it would not create  
25 reactions and create, you know, acid rock drainage  
26 or any of those types of things.

0205

1 In this case, we are talking about piles of  
2 rock, not -- the tailings, and we are talking about  
3 an inert type of rock. The cover, in this case, is  
4 intended to promote vegetation and growth, whereas  
5 the purpose of the covering -- the esker covering,  
6 not overburden, but esker covering at Lupin was  
7 intended to protect the -- to keep the tailings  
8 frozen.  
9 Q I guess that's maybe for the Water Board  
10 discussions and further discussions, but you will  
11 be providing, as I am aware of, some cover for the  
12 PKCA also, which I would imagine which also has  
13 some ice lenses, and you want to ensure the  
14 integrity of that, which is essentially a tailings  
15 area as well, so I guess we will have further  
16 discussions at a later date on some of that.  
17 A It is Court Smith again. May I make a brief  
18 comment on that? There is a provision for a liner  
19 at the Jericho project as well, and again, the  
20 tailing or the -- they are not tailings, they are  
21 processed kimberlite, it is an inert type of  
22 substance. I believe it is quite a different --  
23 you know, I don't want to venture too far out of my  
24 area, you know, I'm not an expert on chemistry and  
25 all of that kind of stuff, but I believe the  
26 tailings or this material is completely different

0206

1 from a Lupin-type material.  
2 Q I guess that brings us to the point in the  
3 regulatory process whether the company will commit  
4 to providing us with all your modelling and report  
5 information beyond what was provided in the --  
6 well, the rudimentary information provided in

7 there, will you make it to the regulators, the  
8 Water Board, KIA and ourself for those further  
9 discussions at a later date?  
10 MR. MISSAL: Greg Missal with Tahera  
11 Corporation. Steve, we would certainly provide all  
12 the information we have when we reach that point  
13 with, of course, yourselves and KIA and the Water  
14 Board.  
15 Q Okay. Thank you. The last set of questions here,  
16 Madam Chair. You mentioned the use of the winter  
17 road, and someone else mentioned the fact that  
18 Lupin has not been operating. Does the company  
19 foresee any problems with the use of the winter  
20 road should Lupin not resume operations?  
21 A Madam Chair, I will start off answering that. It  
22 is Greg Missal with Tahera, but I would ask Court  
23 to add anything when I am finished if he had any  
24 other thoughts.  
25 Obviously with Lupin closing, it is  
26 unfortunate for a lot of people, but I suppose

0207

1 fortunately for us and for our project, we are very  
2 closely situated to Contwoyto Lake, and it is a  
3 very long lake, and it just so happens that the  
4 majority of the winter road that needs to be built  
5 between Diavik and the Jericho site is on Contwoyto  
6 Lake, so it is relatively easy to build a winter  
7 road on the lake versus over the land and having to  
8 build portages.  
9 We have talked to Nuna about this point, we  
10 have also talked to the partners of the winter  
11 road. And given the small number of loads that we  
12 need to transport up the winter road typically  
13 during construction, that's when the number of  
14 loads is the greatest, at about 400, we only need  
15 use of that winter road, the stretch between Diavik  
16 and Jericho, for about two weeks, so it would be a  
17 matter of building the road to the sufficient state  
18 that we need, having it open for the two weeks,  
19 getting the loads in that are needed and then  
20 letting the road blow in after that.  
21 So as a result of that, we don't see Lupin  
22 closing having a great effect on Jericho. There  
23 would be some additional cost to Tahera for what  
24 needs to be done, but it wouldn't be significant.  
25 And I would ask Court to add anything to that if he  
26 does have anything.

0208

1 MR. SMITH: It is Court Smith again.  
2 There is a winter road committee which initially  
3 was comprised of Echo Bay Mines when there was  
4 nobody else, and they obtained an act of  
5 parliament, if you will, that said that they would  
6 be allowed to use that corridor and be able to  
7 build a winter road on that corridor provided that

8 they would also allow anybody else who needed to  
9 use that road access to that road and at a cost  
10 that reflected the actual costs, not a marked-up  
11 amount or anything like that, and that was the  
12 basis of agreeing that that road would be built.  
13 Since then, there are now three members of  
14 the winter road committee, being BHP and Diavik and  
15 Kinross through Echo Bay Mines. The understanding  
16 that I have or at least the past example has been  
17 that whenever a new user is added, they become a  
18 member of this committee, which means that De Beers  
19 would become a member probably if the past tells  
20 anything, and so would Tahera, and it seems -- it  
21 would seem odd that anything would change in the  
22 manner in which it is agreed that that road exists,  
23 otherwise it would be a change of the intent of the  
24 road. So I don't personally think there is any  
25 real problem with doing it.  
26 One of the things that Greg mentioned is that

0209

1 the road would be perhaps smaller on the north end  
2 and shorter in duration. Don't forget that the  
3 loads that Tahera would send up the road would also  
4 travel over the lower part of the road and, in  
5 fact, help pay for that lower part of the road as  
6 well, so it -- the formula seems to work for adding  
7 partners and those sorts of things and users, and  
8 it seems to have worked very well in the past.  
9 MR. MISSAL: Just in addition to that as  
10 well, Tahera has been included in discussions with  
11 the winter road committee, and we do expect to  
12 become a partner in that once we are hopefully  
13 approved to commence production.  
14 One other point I do want to add is that it  
15 seems likely that there will be some usage of the  
16 Lupin site either by Kinross or maybe another third  
17 party. That's a little bit of an unknown, but I  
18 think it is possible to say that that road could go  
19 to Lupin for the next few years regardless.  
20 Q Thank you. That was good to hear. That was my  
21 next question, whether you were considering to be  
22 part of the joint venture, because it is not only  
23 users of the road, but there is all the management  
24 plans that go with it to ensure it.  
25 But just for a point of clarification, I  
26 don't have a map in front of me, but my

0210

1 understanding is the winter road joint venture goes  
2 up to Lupin, and then you would seek to have that  
3 extended from Lupin across Contwoyto Lake to yours,  
4 so that would be a new area that would be required  
5 to open up in the joint venture added on to that  
6 package in terms of right-of-way easement?  
7 MR. SMITH: It is Court Smith here.  
8 The -- there is two ways that could be done, either

9 it could be an extension to the existing road, and  
10 it would be part of that concept, or it could be  
11 that it would be a separate application, if you  
12 will, by Tahera, and it would be a spur road. So  
13 those are two options, and I think there is a lot  
14 of things that we don't know right now that would  
15 determine which way it would go.  
16 Q I guess I'm assuming then, not to belabor this  
17 point, that depending on whether it is part of the  
18 joint venture or it is a spur road, if it is a spur  
19 road, you would still maintain the spirit and  
20 intent of the joint venture in terms of providing  
21 management reports and spill contingency plans and  
22 all the rest of the environmental conditions?  
23 A It is Court Smith speaking. When I say a spur, I'm  
24 talking from Lupin onwards. In other words, that's  
25 30 kilometres out of 600 roughly. And, you know,  
26 you were talking about ISO 14001 and those sorts of

0211

1 things, well, we are -- as Nuna Logistics, we  
2 would -- we don't know whether we, as a company,  
3 would consider ISO 14001 certification or not  
4 because we need to understand the costs and whether  
5 our clients wish that sort of thing, you know, on  
6 the whole.  
7 But one thing that has happened is because  
8 some of our clients choose to be certified with ISO  
9 14001, we adhere to various paperwork and policies  
10 and the procedures, and we act as if we were  
11 certified on those sites. And that's important  
12 because we have it in our blood, if you will, our  
13 people have these processes.  
14 Before any of this ISO 14001 was in, our  
15 operations on the winter road, we had spill  
16 contingency plans, we have got all kind of  
17 procedures, emergency procedures. It is necessary  
18 not because of ISO 14001, but because of safety of  
19 our people and the environment where we are.  
20 The north would require that sort of actions  
21 more than some other place, I think, so it is a  
22 matter of life and death, you know, on winter roads  
23 and that sort of thing. So we are adhering in a  
24 lot of ways, whether we are certified or not, I  
25 don't know if that matters so much.  
26 Q It wasn't so much a matter of being ISO 14000

0212

1 certified for that spur, just that, I guess, you  
2 may speak for Nuna, but Tahera will commit to  
3 making sure that the similar plans that are  
4 prepared for the winter road in general, like spill  
5 contingencies and wildlife monitoring will continue  
6 right up through onto their site and not sort of  
7 end at Lupin, that they would continue on with  
8 those scenarios.  
9 MR. MISSAL: It is Greg Missal with



10 Tahera. I think, Steve, depending on whether it  
11 was part of the winter road joint venture or  
12 otherwise might determine how that works out, but  
13 either way, I would agree with you that there would  
14 have to be those -- that monitoring done of that  
15 portion of the road, whether it was done  
16 individually by Tahera or whether it was part of  
17 the joint venture.  
18 MR. TRAYNOR: Okay. Thanks very much.  
19 Thank you, Madam Chair, that concludes our  
20 cross-examination from DIAND.  
21 CHAIRPERSON: Thank you. Bill Tilleman?  
22 MR. TILLEMEN: Just, I guess, a couple of  
23 things that come out of there that's left hanging,  
24 I can be very quick. One is which Tahera -- I  
25 heard Tahera wants, through Bruce Ott, to be ISO  
26 14001 certified or they want to, but they don't

0213

1 know, and DIAND would like them to be, but they  
2 don't know, so maybe if over the night's research  
3 that Dr. Ott is doing, if he could let us know  
4 which mines in Canada are ISO 14001 certified. I  
5 would expect Dr. Ott knows that quite quickly.  
6 The second thing related to the last  
7 discussion was that if there was an additional 30  
8 kilometres required on the ice road, that it would  
9 be a matter of no big deal because there is an  
10 agreement in place in any event. I suspect that  
11 that agreement is a license of occupation that you  
12 referred to, but I could be wrong. So might be if  
13 there is an agreement that you could file as an  
14 exhibit tomorrow, that you could let us know or  
15 that we could take comfort from some document, that  
16 would be helpful.  
17 MR. MISSAL: Madam Chair, if I can just  
18 comment on Bill's second point. We are not party  
19 to that license of occupation, so therefore we  
20 don't have access to it. It is only the existing  
21 joint venture partners that are party to that, so I  
22 don't think it is possible for us to provide that  
23 to you particularly by tomorrow; perhaps if we  
24 worked through the channels and got permission, but  
25 I can't say for sure.  
26 MR. TILLEMEN: Well, then I think we

0214

1 probably don't need it. We will just drop the  
2 request, if that's the case, Madam Chair. I  
3 thought they were going to be relying on an  
4 agreement that was already in place that through  
5 some nominal procedure that could add Tahera, but  
6 if that's not the case, then we don't need any  
7 further information. Thanks.  
8 CHAIRPERSON: Okay. Environment Canada?  
9 Natural Resources Canada?  
10 NATURAL RESOURCES CANADA QUESTIONS Tahera

11 Corporation:  
12 MR. DYKE: Madam Chair, I'm Larry Dyke  
13 with Natural Resources Canada. I just had one  
14 question. I wanted to return to the processed  
15 kimberlite containment area. And it was mentioned  
16 during the Tahera presentation that some ice is  
17 expected to be contained within the material that  
18 will be left in the PKCA, and I was wondering if  
19 there is any expectation that that ice may  
20 compromise or cause trouble with the eventual  
21 abandonment of that area, I'm thinking due to thaw  
22 and formation of depressions and possibly ponding  
23 of water in those depressions.  
24 MR. SCOTT: Cam Scott SRK. The amount  
25 of ice, as we mentioned briefly, was -- is going to  
26 depend on exactly how it is operated and how much

0215

1 water reports to the pond. We would expect some  
2 ice to be entrained, but specific to your question,  
3 how much of an impact would we expect?  
4 We haven't made any major predictions. It  
5 would be reasonable to get some settlement  
6 depending on -- and depending on the depth of that  
7 ice will influence the shape of the settlement, its  
8 surface. It is likely that it will be an imperfect  
9 surface to the extent that all of the water will  
10 not shed perfectly off that surface and that the  
11 best circumstances is we would hope to practically  
12 develop it.  
13 So inevitably there will be some depressions,  
14 and we anticipate that some water, we hope small  
15 amounts, would likely form on that surface during  
16 the spring and then be evaporated off over the  
17 course of the summer.  
18 MR. DYKE: Thank you very much.  
19 CHAIRPERSON: You were talking too close  
20 to the mic, so the interpreters didn't really get  
21 what you said. Can you repeat that a little  
22 further away from the mic and slower. Thank you.  
23 MR. SCOTT: Essentially -- Cam Scott  
24 again. Essentially what I said was that we would  
25 expect some depressions to be formed on the surface  
26 of the PKCA pit with closure, but that we expect

0216

1 that the amount of water will be small and that the  
2 water that does collect on that surface due to  
3 these irregularities will evaporate off each  
4 spring, each summer rather.  
5 CHAIRPERSON: Thank you. Nobody came in  
6 from the Yellowknife Dene First Nations? Hamlet  
7 council of Cambridge Bay? And did you say that the  
8 Kitikmeot KIA were talking in Kugluktuk tonight?  
9 MR. TILLEMANN: Well, my advice, Madam  
10 Chair, would be to let KIA do whatever they can do  
11 tonight, and then for tomorrow there would be a bit

12 of new information filed and also other intervenors  
13 who couldn't be here, other parties who couldn't be  
14 here. Like DOE would need to ask questions  
15 tomorrow or whatever. So my thought is that we  
16 turn the mic over to KIA's counsel, and then he can  
17 suggest his extent of participation today and  
18 tomorrow.  
19 CHAIRPERSON: Okay. KIA?  
20 MR. DONIHEE: Thank you, Madam Chairman.  
21 John Donihee, counsel for the KIA. Mr. Kaniak and  
22 Mr. Clark came in the mid-afternoon break, and I  
23 haven't really had more than five minutes to talk  
24 to them. But I have some questions myself, and I  
25 guess what I would like to suggest, if you approve  
26 it, is that I will ask my questions right now and

0217

1 have them done, and if we could reserve the  
2 opportunity to ask a couple more in the morning  
3 after we talk, we might have some, we might not,  
4 but we certainly won't take too long in the morning  
5 if that's all right.  
6 CHAIRPERSON: That's okay. Okay. Yes,  
7 you can start or ask your questions in the morning.  
8 You had a few tonight, right now?  
9 MR. DONIHEE: Yes, I do.  
10 CHAIRPERSON: Okay. Go ahead.  
11 KITIKMEOT INUIT ASSOCIATION QUESTIONS Tahera  
12 Corporation:  
13 MR. DONIHEE: Thank you very much. The  
14 first question relates to reclamation, abandonment  
15 and reclamation costs, and I note from the material  
16 that was in the overhead slides today that there  
17 were a number of assumptions made with respect to  
18 the cost estimate that was provided. In  
19 particular, it was suggested that the cost estimate  
20 was based on Nuna Logistic's essentially doing all  
21 of the work and that, in fact, the surface  
22 facilities such as camp and other facilities at the  
23 site would be owned and operated by Nuna.  
24 I guess my question is simply in the context  
25 of the DIAND policy for abandonment and reclamation  
26 of mine sites they suggest that an estimate should

0218

1 be prepared based on the cost of a third party  
2 doing it, and in this case it sounds to me like  
3 Nuna is right involved. So my question is simply  
4 you have given us an estimate of \$7,195,000 and  
5 change based on Nuna doing it, what would it cost  
6 if someone else did it?  
7 MR. MISSAL: Madam Chair, it is Greg  
8 Missal with Tahera Corporation. I think to try and  
9 address that question I would say that we certainly  
10 view Nuna Logistics as a third-party contractor.  
11 You know, obviously they have done this work in the  
12 north in different capacities. We believe that

13 they have the experience and the expertise to  
14 attach third-party costs to that estimate, and I  
15 believe Court Smith referred to that earlier. We  
16 haven't gotten another estimate from another third  
17 party because we do consider Nuna to be a  
18 third-party contractor.  
19 Q John Donihee again. Just to follow up then, if I  
20 could ask Mr. Smith to confirm that there are no  
21 costs savings achieved by having Nuna do it. In  
22 other words, are we really getting a third-party  
23 estimate here or are there some savings achieved by  
24 having Nuna do it?  
25 MR. SMITH: It is Court Smith from  
26 Nuna. We are a mining contractor, and as a result,

0219

1 we put profit, we put overhead, we make sure our  
2 costs are covered. We are not particularly --  
3 although the Tahera people are very nice people, we  
4 are not going to not make money because they are  
5 nice people. We intend to make our profit, we  
6 intend to cover our overheads, and we intend to be  
7 happy that we did the work, and hopefully our  
8 client is also happy with the result.  
9 Q I'm not really sure if you answered my question.  
10 You know, I'm trying to find out whether or not the  
11 estimate -- let me ask it this way then, if you  
12 used the reclaim model, would you come up -- which  
13 is based on a third party doing it, would you come  
14 up with a number like \$7.1 million?  
15 A It is Court Smith from Nuna. We don't use the  
16 reclaim model, we haven't been party to the reclaim  
17 model. What we do is we do a lot of estimating,  
18 and we prepare bids, and we operate as contractors.  
19 When we put a price out, we are expecting that we  
20 will get -- first off, it is an estimate, so we  
21 take the view that we are on the 50 percentile; in  
22 other words, that there is an equal chance that it  
23 will cost more than that and an equal chance that  
24 it will cost less. Sometimes we are under and  
25 sometimes we are over in those instances. You  
26 know, how can I comment on the reclaim model if we

0220

1 don't use it?  
2 I'm aware that this model exists. And I'm  
3 aware that it has been used as a check against what  
4 companies use as an estimate. To -- you know, we  
5 prepared our estimate in the same way we prepare  
6 estimates for other jobs in the north, and when we  
7 do that, we get numbers that we believe we can live  
8 with to do the work. That's our -- our purpose is  
9 not to come up with estimates, our purpose is to  
10 get work and to go forward. So we are very much a  
11 third party, we are in the business of helping our  
12 clients and doing the work.  
13 Q Thank you very much. The next question I have

14 comes back to the issue that Mr. Osmond raised  
15 about spray irrigation, and unfortunately I went  
16 over at the break and had a look at the map, and I  
17 apologize because I didn't note the number, but it  
18 is the one that shows the caribou trails on it, the  
19 high-use caribou areas. And it was clarified for  
20 me at the break that the area that's proposed for  
21 spray irrigation is closer to Lake C3 than it is to  
22 Carat Lake. But I note that in answer to Mr.  
23 Osmond's question, Mr. Hubert indicated that, in  
24 fact, the spray irrigation might actually enhance  
25 the habitat.  
26 I guess my question is whether or not, you

0221

1 know -- my first concern was whether or not  
2 spraying this salt over there was going to create a  
3 giant salt lick that might be attracting the  
4 caribou, and I don't know whether that is a proper  
5 conclusion. I am certainly not a technical person,  
6 but then Mr. Hubert mentioned that, in fact, the  
7 habitat might be improved again.  
8 And I guess what I am concerned about is  
9 where or not that activity has any potential to  
10 attract caribou into the, sort of the, operational  
11 area of the mine with the consequent result that  
12 there might be problems, you know, caribou on roads  
13 that get hit or things like that. So I guess what  
14 I am trying to come to is your -- perhaps your  
15 assessment of whether that spray irrigation creates  
16 any additional risk of wildlife impacts.  
17 MR. MISSAL: Madam Chair, it is Greg  
18 Missal with Tahera. I would ask Ben Hubert to  
19 address that question.  
20 MR. HUBERT: Thank you, Greg. That's a  
21 very insightful observation, John. And I think the  
22 question might, perhaps, be more relevant to  
23 nonmigratory species like muskox rather than  
24 caribou.  
25 I think caribou passing through this area are  
26 really driven by migration, and if, as was the case

0222

1 in 1996, caribou were to take residence for several  
2 hours, they might key on that area because of  
3 enhanced productivity and perhaps enhanced forage  
4 quality, but I think it is probably -- if it acts  
5 as an attractant at all, it would attract local  
6 nonmigratory wildlife. Thanks.  
7 Q John Donihee again. I guess my follow-up would be  
8 to simply ask whether you feel that the proposed  
9 mitigation measures to prevent wildlife impacts  
10 that are already on the record from Tahera are  
11 adequate to manage that problem if it happens?  
12 A Yes, I think so because, first of all, spray  
13 irrigation is in the first instance contingency,  
14 and the second instance, the volumes of nutrients

15 to be added on a per-hectare basis are modest, and  
16 thirdly, this is -- this area is well away from the  
17 active use area of the project, and so the only  
18 activity that there would be in the area is the  
19 application of the water itself and the  
20 surveillance required to do that. We don't have a  
21 lot of traffic in here, we don't have loaders and  
22 trucks and explosives and all that stuff and staff  
23 active in here on a 24 by 7 basis. So I think the  
24 mitigations planned are adequate to handle any  
25 attractant that spray irrigation might have in this  
26 area close to C3.

0223

1 Q Thank you. It's John Donihee for KIA again. Mr.  
2 Hubert, I just have one -- a question about the way  
3 that you expressed on your slide today, the way  
4 that you expressed the cumulative effects  
5 conclusions that had been drawn, and it may just be  
6 the way that you wrote it, but I just want to be  
7 sure that I understand.  
8 So I'm -- your slides weren't numbered, but  
9 it is on page 12 of your -- the deck from the  
10 wildlife presentation, the one that deals with  
11 cumulative effects. And what it says is that there  
12 will be no cumulative effects from other projects  
13 on local wildlife habitats, no cumulative effects  
14 from other projects on local bird populations and  
15 no cumulative effects from other projects on  
16 nonmigratory wildlife populations, and I guess that  
17 sounds backwards to me.  
18 I mean, I thought the process here was to  
19 find out what the cumulative effects of this  
20 project on the populations would be, not the  
21 cumulative effects of the other projects on these  
22 populations, and it is just the way that you have  
23 expressed it, but could you elaborate a little bit  
24 and make me feel less confused?  
25 A Thank you, John. I recall from my presentation I  
26 didn't cover that very well when I was on deck

0224

1 either.  
2 The assumption or the notion of cumulative  
3 effects, to my mind, is are there effects from  
4 other projects that, in combination with the  
5 effects of this project, exacerbate impacts. And  
6 we looked at the other projects, the projects  
7 referred to us by way of guidelines, and saw that  
8 there are no interactions with local wildlife  
9 populations from these other projects, so in the  
10 first instance then there would not be cumulative  
11 effects on the local wildlife populations. And  
12 then I went on to look at the cumulative effects of  
13 all the projects in the range of the Bathurst  
14 caribou, and so -- except caribou from the first  
15 three points on that slide. Thank you.

16 Q Thank you for the clarification. I have a question  
17 about your next slide as well, and it has to do  
18 with -- the slide is on page 13, it is entitled  
19 "Potential Wildlife Interactions and Related  
20 Mitigation." And on the left column you have the  
21 interactions, on the right column you have a list  
22 of mitigation, and I guess what struck me was that  
23 in the summary that was provided by Dr. Ott, I  
24 believe, on Tahera's environmental monitoring  
25 commitments, in the wildlife context there was just  
26 a couple, cooperative monitoring of the Bathurst

0225

1 caribou herd, you know, spend some time on raptors  
2 and record and report wildlife presence.  
3 So the monitoring commitments are something  
4 that I have a question about in a minute, but on  
5 the mitigation side, I just want to be clear that  
6 all of the things listed on that slide on page 13,  
7 which starts off with things like incinerate  
8 garbage, bear alert system, and barriers, was the  
9 one that caught me with respect to caribou and that  
10 sort of thing. These are firm commitments from the  
11 company, or are these simply suggestions of ways  
12 that a problem might be managed?  
13 A I -- it is Ben Hubert again. I proposed barriers  
14 reluctantly. I mean, another way -- another term  
15 for barriers is fences, and fences, if they are  
16 effective, they are effective in keeping things  
17 out, but if they fail just a little bit, they are  
18 also effective in keeping things in. And so while  
19 barriers are an available mechanism to mitigate  
20 potential problems, I think they should be  
21 investigated under -- and deployed under  
22 site-specific conditions. And so I propose those  
23 as available measures, if required, not an A  
24 priority commitment, because they introduce  
25 challenges that without them, wouldn't be there.  
26 Q Thank you. John Donihee again. May I just ask

0226

1 then in coming back to a question Mr. Traynor asked  
2 a few moments ago whether the triggers, if you  
3 will, and the mitigation mechanisms which might be  
4 appropriate to resolve potential wildlife  
5 interactions are something that should be included  
6 in an environmental -- pardon me, in a wildlife  
7 management plan if one is developed?  
8 A And will be, and formally presented that way.  
9 Q I take it then we are getting a commitment from the  
10 company on the wildlife management plan idea that  
11 Mr. Traynor raised?  
12 MR. MISSAL: Greg Missal with Tahera.  
13 That's correct, we would commit to that monitoring  
14 plan.  
15 Q Management plan?  
16 A That's correct, sorry.

17 Q Thank you. John Donihee again. On your  
18 monitoring -- on the monitoring front, you know,  
19 with respect to caribou, I do have one concern, I  
20 guess, and that is we don't have anybody from the  
21 GN here, perhaps I will have a chance to ask them a  
22 question before the week is out, but I guess my  
23 concern is that, you know, the suggestion has been  
24 made that the company is willing -- and it is not a  
25 suggestion, it is a commitment, that the company is  
26 willing to participate in something that is

0227

1 organized with other stakeholders with respect to  
2 caribou. I guess my concern is, you know, what  
3 happens if the other stakeholders don't do  
4 anything?  
5 MR. HUBERT: Ben Hubert again. Before I  
6 embark on that one, John, could I go back to the  
7 earlier one, that business about a wildlife  
8 management plan? A gentleman that is well known in  
9 this community and does a lot of work in this area,  
10 Andy McMullen, who does this kind of work, he says  
11 we really shouldn't be talking about a wildlife  
12 management plan, because it is really people we are  
13 managing in the presence of wildlife. So when it  
14 comes along, it will probably have a stronger dose  
15 of people management than wildlife management.  
16 The business of a stakeholder group working  
17 on monitoring caribou is a difficult one for an  
18 individual proponent such as Tahera, or in my case,  
19 a biologist working for Tahera, to address, because  
20 the issue is so much larger and the stakes are so  
21 much higher than those facing a company in a  
22 relatively small project on a small footprint, and  
23 personally, I cannot discharge the activities  
24 required for an effective monitoring program  
25 because it involves deploying collars. These are  
26 the most cost-effective and reliable means of

0228

1 monitoring the distribution of the herd and the  
2 seasonal land use of the herd, without a lot of --  
3 a lot of technical back up.  
4 And so while I keep repeating that it is in  
5 the best interests of all the parties to embark on  
6 a cooperative long-term telemetry program similar  
7 as was started for the Bathurst herd in the west  
8 Kitikmeot study and have it continue, I can only  
9 talk about it. And even if I had the 25 or \$50,000  
10 a year required to deploy and monitor a half a  
11 dozen or so collars, I still don't have the  
12 technical expertise, and there is very, very few  
13 people that do, to embark on a telemetry program.  
14 So in the absence of the agencies that have  
15 got access to the satellite and to space on the  
16 satellite and the agencies that have got the  
17 financial wherewithal to make a longer-term



18 commitment, all of this really is a good idea.  
19 But I think the benefits of deploying the  
20 idea were plain and simple to see on the  
21 distribution maps, and all the other mines in the  
22 region benefit from it, and our understanding of  
23 the caribou and our ability to do site-specific  
24 studies of caribou are really enhanced by the  
25 availability of that data. Any assistance would be  
26 appreciated.

0229

1 Q It is John Donihee again. I was about to think of  
2 some for you. Suffice to say that I do understand  
3 it is not Tahera's responsibility or jurisdiction  
4 to, you know, to deal with caribou management, but  
5 clearly, you know, as I was involved with the Snap  
6 Lake hearings recently, you know, and there was  
7 discussion there. I'm not repeating it for more  
8 than just to mention that the idea is now achieving  
9 some currency.

10 There was some discussion there of a wall of  
11 development. I'm not sure that four or five mine  
12 sites spread over hundreds of kilometres  
13 constitutes a wall, but when we look at the map  
14 that you showed us, you know, with the hunting  
15 camps on it, that's more like a wall, yes.

16 So, I mean, there is concern, I guess, on  
17 behalf of KIA that, you know, we need to get -- as  
18 development starts to take place in Kitikmeot as  
19 well, we need to get some work done on the caribou  
20 issue and the monitoring issue, and I guess -- let  
21 me just ask it this way: Assuming that GN will step  
22 up to the plate and assuming that it may also be in  
23 a jurisdiction effort because the GN would be Team  
24 A, they may have a role in this as well, if --  
25 would Tahera make an appropriate contribution to  
26 something like that if, you know, there were to be

0230

1 costs shared between government and industry?  
2 MR. MISSAL: Greg Missal with Tahera  
3 Corporation. I think, John, what we would want to  
4 do is we would want to see what was being proposed,  
5 of course, before we could formally commit to what  
6 we could contribute or couldn't contribute. You  
7 know, I think if there was a plan being  
8 contemplated that was a good plan, that you  
9 could -- that Tahera could see was going to benefit  
10 us, not only us, but the territory and perhaps both  
11 territories, Nunavut and NWT and other companies,  
12 you know, I am sure that we would want to play a  
13 role in a properly developed and managed program.

14 I can't see us not being part of that. But,  
15 of course, we would have to see the plan and see  
16 how it was set up before we could, you know, commit  
17 to participating in something like that.

18 MR. DONIHEE: John Donihee. Thank you

19 very much. Perhaps if GN shows up we can revisit  
20 this a little later in the week. But for the  
21 moment, Madam Chair, those are my questions.  
22 CHAIRPERSON: Thank you. Bill Tillemann?  
23 BOARD STAFF QUESTIONS Tahera Corporation:  
24 MR. TILLEMANN: I just have one question  
25 for Mr. Hubert arising out of Mr. Donihee's  
26 questions and that is this, that the Board has

0231

1 defined cumulative effects to look at past, present  
2 and reasonably foreseeable projects. And so given  
3 your understanding of the caribou numbers in 2003,  
4 that is to see as you as a scientist currently  
5 understand them to be, does that change your answer  
6 in terms of whether or not Tahera's project  
7 standing alone would significantly impact the  
8 caribou numbers and whether or not there is a  
9 cumulative impact on the caribou, given the current  
10 numbers of caribou?

11 MR. HUBERT: In the context -- it is Ben  
12 Hubert. In the context of the likely interactions  
13 between the Bathurst caribou herd and the project  
14 as it has been presented, I see no risk to the  
15 status of the caribou herd from direct interactions  
16 between the Bathurst herd and the project.

17 Going forward in the context of potential  
18 additional kimberlites processed at the site, I see  
19 the interactions being similar, and so the effects  
20 similar and negligible. And so the interactions  
21 between a small footprint diamond mine and a  
22 migratory caribou herd just do not raise red flags  
23 for me.

24 Q And so your answer stays the same given the  
25 current -- your understanding of current  
26 populations of caribou and also in the cumulative

0232

1 effects assessment taking into account, for  
2 example, Dorus, the Porton Road and Inmet as one  
3 could argue would be reasonably foreseeable  
4 projects?

5 A Yes, it is the same because the interactions are  
6 similar, the interactions are dispersed over a very  
7 large area, no project on its own will be  
8 interacting on a continuous basis with a large  
9 segment of the herd, and so the opportunity for  
10 risk is very low.

11 MR. TILLEMANN: Thank you, Madam Chair.

12 CHAIRPERSON: Anything else from Staff?  
13 Bill?

14 MR. TILLEMANN: No, ma'am.

15 CHAIRPERSON: Okay, it is now 5:20. We  
16 will recess for tonight and continue with questions  
17 from KIA and maybe from elders tomorrow morning.

18 This hearing will reconvene tomorrow morning  
19 being January 6th at 9 o'clock. Thank you. Good

20 night.

(ADJOURNED AT 5:21 P.M.)

21  
22  
23  
24  
25  
26

0233

1  
2 \_\_\_\_\_  
3 I, Tara Lutz, Court Reporter, hereby  
4 certify that I attended the above Hearing and took  
5 faithful and accurate shorthand notes and the  
6 foregoing is a true and accurate transcript of my  
7 shorthand notes to the best of my skill and  
8 ability.

8 Dated at the City of Calgary, Province of  
9 Alberta, this 17th day of January 2004.

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

\_\_\_\_\_  
Tara Lutz  
Court Reporter